

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF MISSOURI
PUBLIC SERVICE COMMISSION

TRANSCRIPT OF PROCEEDINGS
Evidentiary Hearing
October 1, 2012
Jefferson City, Missouri
Volume 19

In the Matter of Union Electric)
Company d/b/a Ameren Missouri's)
Tariffs to Increase Its Annual) File No. ER-2012-0166
Revenues for Electric Service)

MORRIS L. WOODRUFF, Presiding,
CHIEF REGULATORY LAW JUDGE.

KEVIN D. GUNN, Chairman,
TERRY M. JARRETT,
ROBERT S. KENNEY,
STEPHEN M. STOLL,
COMMISSIONERS.

REPORTED BY:
KELLENE K. FEDDERSEN, CSR, RPR, CCR
MIDWEST LITIGATION SERVICES

1 APPEARANCES:

2 THOMAS BYRNE, Attorney at Law
3 WENDY K. TATRO, Attorney at Law

4 P.O. Box 66149
5 1901 Chouteau Avenue
6 St. Louis, MO 63103
7 (314)554-2237
8 tbyrne@ameren.com

9 JAMES B. LOWERY, Attorney at Law
10 Smith Lewis, LLP
11 111 South 9th Street, Suite 200
12 P.O. Box 918
13 Columbia, MO 65205-0918
14 (573)443-3141
15 lowery@smithlewis.com

16 L. RUSSELL MITTEN, Attorney at Law
17 Brydon, Swearngen & England, P.C.
18 312 East Capitol
19 P.O. Box 456
20 Jefferson City, MO 65102-0456
21 (573)635-7166
22 rmitten@brydonlaw.com

23 For: Union Electric Company,
24 d/b/a AmerenUE.

25 JESSICA L. BLUME, Assistant Attorney General
P.O. Box 899
Supreme Court Building
Jefferson City, MO 65102
(573)751-3321

FOR: Missouri Department of Natural
Resources.

LARRY W. DORITY, Attorney at Law
JAMES FISCHER, Attorney at Law

Fischer & DORITY
101 Madison, Suite 400
Jefferson City, MO 65101
(573)636-6758
jfisherpc@aol.com

FOR: Kansas City Power & Light Company
KCP&L Greater Missouri Operations
Company.

1 DIANA VUYLSTEKE, Attorney at Law
Bryan Cave, LLP
2 211 North Broadway, Suite 3600
St. Louis, MO 63102
3 (314)259-2543
Diana.vuylsteke@bryancave.com

4 EDWARD F. DOWNEY, Attorney at Law
5 Bryan Cave, LLP
221 Bolivar Street, Suite 101
6 Jefferson City, MO 65101-1575
(573)556-6622

7 FOR: Missouri Industrial Energy Consumers.

8 DAVID WOODSMALL, Attorney at Law
9 807 Winston Court
Jefferson City, MO 65101
10 (573)797-0005

11 FOR: Missouri Energy Consumers Group.

12 LISA C. LANGENECKERT, Attorney at Law
Sandberg Phoenix & von Gontard
13 600 Washington Avenue - 15th Floor
St. Louis, MO 63101
14 (314)446-4238
llangeneckert@sandbergphoenix.com

15 FOR: Barnes-Jewish Hospital.

16 JOHN COFFMAN, Attorney at Law
17 871 Tuxedo Boulevard
St. Louis, MO 63119
18 (573)424-6779

19 FOR: AARP.
Consumers Council of Missouri.

20 HENRY B. ROBERTSON, Attorney at Law
21 Great Rivers Environmental Law Center
705 Olive Street, Suite 614
22 St. Louis, MO 63101
(314)231-4181

23 FOR: Natural Resources Defense Council.
24 Sierra Club.
Earth Island Institute
25 d/b/a Renew Missouri.

1 LEWIS R. MILLS, JR., Public Counsel
Office of the Public Counsel
2 P.O. Box 2230
200 Madison Street, Suite 650
3 Jefferson City, MO 65102-2230
(573) 751-4857

4
FOR: Office of the Public Counsel
and the Public.

5
6 KEVIN A. THOMPSON, Chief Staff Counsel
JENNIFER HERNANDEZ, Senior Counsel
7 SARAH KLIETHERMES, Senior Counsel
MEGHAN McCLOWRY, Legal Counsel
8 AMY MOORE, Legal Counsel
Missouri Public Service Commission
9 P.O. Box 360
200 Madison Street
10 Jefferson City, MO 65102
(573) 751-3234

11
FOR: Staff of the Missouri Public
12 Service Commission.
13
14
15
16
17
18
19
20
21
22
23
24
25

1 P R O C E E D I N G S

2 (WHEREUPON, the hearing began at 8:30 a.m.)

3 JUDGE WOODRUFF: Good morning, everyone.

4 We're back for day three of the Ameren rate case hearing.

5 Today we'll be taking up plant in service accounting. Any

6 matters we want to take up before we get started with

7 opening statements?

8 All right. Plant in service accounting,

9 then, we'll begin with Ameren Missouri's opening.

10 MR. BYRNE: May it please the Commission?

11 Plant in service accounting is the most significant

12 enhancement to the regulatory framework that we are

13 seeking in this case. I thought I might take a few

14 moments this morning to try to explain a little more

15 thoroughly exactly what the problem is that we are facing

16 and why we believe that the adoption of plant in service

17 accounting will help us solve it.

18 The chart that I passed out and that's on

19 ELMO illustrates the problem that electric utilities in

20 Missouri face when they invest money in capital projects.

21 The blue line on the left side of the chart reflects the

22 time when the plant is under construction. During that

23 time, although utilities don't recover any return on their

24 investment, they at least get to accrue a return on the

25 capital that's being invested in the form of the allowance

1 for funds used during construction, or AFUDC. AFUDC
2 reflects a cost of capital that is added to the cost of
3 the plant being installed, and then in the next rate case,
4 the AFUDC is added to the cost of the plant, the total
5 amount is included in rate base, and it's recovered over
6 the life of the plant, which is typically 30 or 40 years
7 or so, depending on what plant it is.

8 So during this period, the period of
9 construction when the plant is being constructed, the
10 company is being compensated for the cost of the capital
11 it is putting out through the accrual of AFUDC.

12 And, in addition, since the plant is not
13 yet in service, the company is not incurring any
14 depreciation expense related to the plant. So from the
15 company's perspective, during the period the plant is
16 being constructed, the period covered by the first blue
17 line, everything is okay.

18 However, everything changes once the plant
19 goes into service, which is represented by the red line.
20 The accrual of AFUDC stops. So now the company, which has
21 the capital out that was used to construct the plant, is
22 not being compensated for the cost of the capital it's
23 committed, even though this is when the customers begin to
24 get the use of the item of plant for the first time.

25 Even worse, the company starts incurring

1 depreciation expense that is not recovered, and the
2 company cannot recover its capital cost or it's
3 depreciation expense until it files a rate case and months
4 or even maybe years after the plant goes into service, the
5 Commission allows it to implement new rates.

6 And the money that the company loses during
7 the red period in the months or years between when an item
8 of plant goes into service and when rates are put into
9 effect can never be recovered. It's not just a delay in
10 recovering these costs as the term regulatory lag would
11 suggest. They're gone forever.

12 In other words, the way it works now, the
13 utility never recovers the full cost of its investment in
14 plant. Other costs and revenues can go up or down, you
15 can have favorable weather, unfavorable weather, but this
16 is a persistent failure to recover our costs which occurs
17 every day we are in business for every dollar we invest.
18 We can never recover the cost of those investments.

19 How big of a problem is this? It's a
20 really big problem. Ameren Missouri controller Lynn
21 Barnes has calculated that from the true-up date in the
22 last rate case until the effective dates of rates in this
23 case, assuming it's January 2nd, which is the operation of
24 law date, Ameren Missouri will have lost \$37.6 million of
25 unrecovered in return and depreciation associated with

1 \$637 million of plant additions that would have qualified
2 for plant in service accounting had it been in effect, and
3 recovery of 370-- or \$37.6 million in costs that fell
4 through the cracks of the regulatory process would move
5 our earnings significantly closer to our authorized return
6 on the charts that you have seen. It's a significant
7 contributor to the shortfall of earnings below our
8 authorized return.

9 And the magnitude of this problem depends
10 on the magnitude of investment. The more a utility
11 invests in poles and wires and transformers and
12 substations and generating facilities, the more its
13 earnings are adversely affected by the red period on the
14 chart.

15 And what reaction do utilities have to
16 these chronic losses that come with every incremental
17 investment they make? Utility managers say two things.
18 First, what is the very least amount of money that I can
19 invest in my system so I can minimize these losses yet
20 still satisfy my obligation to provide safe and adequate
21 service? Second, how quickly can I file another rate case
22 to stop the bleeding in the red period? How quickly can I
23 stop this from continuing?

24 The current situation provides utilities
25 with a strong financial disincentive to invest in their

1 systems and a strong financial incentive to file rate case
2 after rate case after rate case, which you are seeing
3 today, not just with Ameren Missouri but with other
4 utilities. And it also produces a situation where
5 utilities have no reasonable chance to earn their
6 authorized return if they invest significantly in their
7 infrastructure.

8 You might be asking yourself, why is this a
9 problem now? Why hasn't it come up in the past hundred
10 years or so of public utility regulation? And I think the
11 answer to that question was provided in Mr. Baxter's
12 testimony at the beginning of this hearing.

13 In the past, offsetting this systematic
14 under-recovery of costs associated with capital projects,
15 electric utilities experienced systematic support for
16 earnings from steady growth in usage year after year, from
17 the early part of the 20th century when electric
18 appliances first came into widespread use to the 1950s and
19 '60s and '70s when growth in population, movement to the
20 suburbs and the installation of air conditioning were the
21 drivers to the '80s and '90s when the widespread use of
22 computers and big screen TVs created the growth.

23 But now things have changed. The new
24 paradigm which we are facing is that there is no growth in
25 electric usage now, and there isn't likely to be any in

1 the foreseeable future. Our construction projects and
2 plant additions are not to serve new customers. They are
3 mostly to install environmental controls and replace plant
4 that is already serving existing customers when it reaches
5 the end of its life. In short, there's nothing to offset
6 this systematic under-recovery of costs.

7 As Mr. Baxter testified, in asking you to
8 adopt plant in service accounting, we are asking you to
9 look a little bit outside the box for a solution, but it's
10 only a little bit outside the box. Plant in service
11 accounting is not much different from construction
12 accounting that this Commission has used to address this
13 very same problem for large capital projects such as
14 Callaway nuclear plant or, more recently, the installation
15 of the Sioux scrubbers or the Iatan plant for Kansas City
16 Power & Light Company.

17 Our position is that the problem is the
18 same for \$600 million of investment in small projects as
19 it is for \$600 million of investment in one big project.
20 The logic supporting construction accounting is the same
21 whether it's one big project or a bunch of little
22 projects.

23 Plant in service accounting will help
24 address our chronic inability to earn our authorized
25 return, it will remove the disincentive to invest in our

1 system that currently exists, and it will help reduce the
2 number of cases being filed by electric utilities in this
3 state. It is a measure that will benefit the company and
4 its customers over the long run, and it should be adopted.

5 The Staff and MIEC raise several objections
6 to the company's proposal which do not withstand scrutiny.
7 First, they object because they argue that plant in
8 service accounting is single-issue ratemaking. Of course
9 that is not true. Under the company's proposal, rates
10 will only be adjusted in the next rate case when all
11 relevant factors can be considered.

12 Plant in service accounting does permit the
13 accrual of the cost of newly installed plant until that
14 rate case can take place, but that's really no different
15 than accrual of AFUDC, which already occurs for every
16 capital project. It is just a more accurate method of
17 accruing the cost of newly installed plant than is used
18 today.

19 Staff and MIEC also argue that the new
20 plant additions might reduce O&M expenses or lead to more
21 efficient operation of Ameren Missouri's system. They
22 have provided no evidence to support their speculative
23 testimony on this point. Ameren Missouri witness Barnes
24 has testified that due to the age of our system, O&M costs
25 are likely to increase even if plant in service accounting

1 is adopted. And to the extent our investments in plant
2 are for new environmental controls that never existed
3 before, like, for example, the recently installed Sioux
4 scrubbers, our O&M plants -- our O&M costs associated with
5 these new additions will obviously increase.

6 Next, Staff and MIEC argue that the
7 adoption of plant in service accounting will diminish the
8 incentive of management to control costs. Allowing Ameren
9 Missouri to simply recover the cost of its capital
10 investment would not provide management with a perverse
11 incentive. On the other hand, the current framework in
12 which Ameren Missouri and other electric utilities are
13 systematically deprived of any opportunity to recover the
14 full cost of capital projects provides a very perverse and
15 inappropriate disincentive to invest.

16 Moreover, the Commission, of course,
17 retains its right to review all of Ameren Missouri's
18 investments and disallow any costs that you determine to
19 be imprudent. Plant in service accounting would not
20 change that at all.

21 Finally, the Staff and MIEC argue that if
22 plant in service accounting is adopted, customers should
23 get credit for accumulated deferred income taxes, or ADIT.
24 However, we believe such an adjustment is inappropriate
25 for the same reason it's inappropriate with regard to

1 CWIP, which will be discussed later on today in the income
2 tax portion of the case.

3 If plant in service accounting is adopted,
4 the deferrals will have no impact on today's customers.
5 It will simply be deferrals that will affect rates later
6 on. As a consequence, today's customers should not get
7 the benefit of favorable tax treatment of ADIT until the
8 next rate case when the costs of the plant associated with
9 the ADIT is included in rate base, and then at that point
10 they should get -- they should get credit for the ADIT.

11 Staff and MIEC's objections to plant in
12 service accounting are without merit and should be
13 rejected. The Commission should adopt plant in service
14 accounting in this case to remove the disincentive to
15 invest which currently exists to afford the company a
16 realistic opportunity to recover the full cost of its
17 capital investment and to limit the number of rate cases
18 which must be filed.

19 Thank you.

20 JUDGE WOODRUFF: Any questions?

21 COMMISSIONER KENNEY: One quick one. Just
22 the plant in service accounting proposal, put another way,
23 allows for recovery of the cost of capital after the AFUDC
24 period ends?

25 MR. BYRNE: Right. When the plant goes in

1 service, AFUDC stops, and our proposal would continue to
2 allow the recovery of cost of capital.

3 COMMISSIONER KENNEY: So that component is
4 identical to what we're doing now with AFUDC accounting?

5 MR. BYRNE: Our -- our proposal is to use
6 the return, the last return approved by the Commission,
7 which is a different return than the AFUDC, but the
8 principle is the same.

9 COMMISSIONER KENNEY: What is the return
10 rate of AFUDC versus plant in service accounting?

11 MR. BYRNE: You know, I don't know.
12 Ms. Barnes is up there, and I think she knows the answer
13 to that. It is a combination of debt and equity, but I
14 believe it's a slightly lower return for AFUDC.

15 COMMISSIONER KENNEY: So then the PISA adds
16 to that, though, the recovery of depreciation expense?

17 MR. BYRNE: Right. There is no
18 depreciation expense until it goes into service.

19 COMMISSIONER KENNEY: Okay. And then I'll
20 reserve the rest of my questions for Ms. Barnes. Thank
21 you.

22 CHAIRMAN GUNN: I actually have a quick
23 one. It may be more appropriate to wait for Ms. Barnes,
24 too. There was mention about how this propose -- the
25 plant in service accounting is used in some other states

1 but not in the particular way that it's being proposed by
2 the company here. And I don't know if you have that
3 answer or would say how is this different or what is
4 unique about what your proposal is compared to how plant
5 in service has been used in other places?

6 MR. BYRNE: I think there are some other
7 states that have used similar things to plant in service
8 accounting. We cited, I think there was a South Carolina
9 case and there was one other state's case that were cited
10 in Mr. Reed's testimony.

11 I don't think it's exactly like plant -- in
12 either case it's exactly like plant in service accounting
13 that we're proposing here. I think the South Carolina
14 case was specific to projects kind of similar to
15 construction accounting, and I think the other case it
16 was -- it was investment program. So it was multiple
17 projects in a program that were given this kind of
18 treatment.

19 I do think, though, when you look at other
20 states, there are other ways to solve this problem, and
21 other states have taken measures to solve this problem.
22 For example, if you use a projected test year, which I
23 don't think lawfully can be done in Missouri given
24 Proposition 1, a lot of states do that. If you use a
25 projected test year, then the gap is closed, or if you use

1 formula rates, the gap is closed.

2 CHAIRMAN GUNN: Right. This is really a
3 substitute for CWIP formula rates --

4 MR. BYRNE: Right.

5 CHAIRMAN GUNN: -- future test year?

6 MR. BYRNE: That's right. There are a
7 bunch of different ways this gap can be closed, but we --
8 and some are available to Missouri but some are not
9 because of the statutes.

10 CHAIRMAN GUNN: So in the current form that
11 you're proposing, you don't know of any other states that
12 would treat it exactly the way you're treating it? I
13 understand there might be analogous situations, but --

14 MR. BYRNE: I don't think -- I don't know
15 of any state as I stand here that has exactly this, but
16 it's pretty analogous. I mean, it's analogous in that
17 it's being done for a specific project or a group of
18 specific projects in other states.

19 CHAIRMAN GUNN: Thanks, Tom.

20 JUDGE WOODRUFF: Thank you. Opening for
21 Staff.

22 MR. THOMPSON: May it please the
23 Commission?

24 Plant in service accounting is a symptom of
25 a bigger process that's going on here. That process is

1 simply this: Ameren Missouri is a mature company in a
2 mature industry in a mature service area. During the time
3 they were building out infrastructure to serve new
4 developments, new homes, new customers, they made money
5 hand over fist. There was a period when they did not come
6 in for a rate increase for 20 or 25 years.

7 Now they're coming in every year, every
8 year and a half, and the reason is because the world has
9 changed. The world has changed. They're not adding
10 customers. They're not building out wires to new
11 subdivisions. They're not bringing in new customers.
12 They're not making that money hand over fist that they did
13 during the build-out, during the youth of this company.
14 The youth is over. This company has grown up. This
15 company has grown up.

16 And so they are now looking for ways to
17 make more money. Could it be that their expectations are
18 wrong? Could it be that they expect to earn the kind of
19 return, the kind of cash flows that they had during the
20 build-out that they just can't have now? It's not
21 sustainable because they're not adding customers, they're
22 not churning up new business the way they were during the
23 youth of the company when the company was young and
24 growing. That's gone. That's finished. It's over.
25 Expectations have to change.

1 What does life with a mature company look
2 like? What does that look like? Because that's where we
3 are. And when they come in here and they bring experts
4 from New York to tell you that you're not doing regulation
5 right, no, that's wrong. You're doing regulation the same
6 way Missouri has done regulation since 1913 when this
7 Commission was established, and for years, for generations
8 that regulation was fine. There were no complaints. They
9 made plenty of money. In fact, they made so much money
10 they had to return some to the ratepayers.

11 You've heard talk about the experimental
12 alternative regulatory plan that they had where money went
13 back to ratepayers. You've heard about the overearnings
14 complaint that Staff filed in 2002 that resulted in money
15 going back to ratepayers. That's because they were making
16 too much money. It was because the company was young, the
17 company was building out, the company was raking in cash
18 as a result of adding customers, adding lots of customers
19 every year. That is over. It's not going to happen.

20 So now you have to ask yourself, what does
21 life with a grown-up electric company look like?
22 What does it look like? What are realistic, fair,
23 sustainable returns and cash flows for a mature, grown-up
24 company? In fact, this is something we're facing with the
25 nation, isn't it? It's a bigger question than just

1 Missouri and this utility company. It's really kind a
2 national question.

3 But this tiny slice of it that you're
4 dealing with, that's your question. What's life going to
5 look like for a mature company? Because they're right in
6 the -- they are going to be constantly making investments
7 in infrastructure to replace things that are worn out.
8 They have to to continue to provide safe and adequate
9 service. Well, that's what life is going to be. That's
10 how it's going to be for the foreseeable future. So what
11 is that life going to look like?

12 Staff opposes plant in service accounting
13 for really one reason. One reason. It will improve the
14 financial performance of this company, but there is no
15 proposal to reduce the return on equity to reflect the
16 reduction in shareholder risk. There is no proposal to
17 reduce return on equity to reflect that reduction in risk.

18 But I think this is all part of that bigger
19 question, what does life look like for a mature company?
20 What are the realistic and sustainable level of returns
21 and cash flows? Thank you.

22 JUDGE WOODRUFF: Questions?

23 CHAIRMAN GUNN: Kevin, I actually have a
24 couple questions.

25 MR. THOMPSON: Yes, sir.

1 CHAIRMAN GUNN: Does Staff have a pro-- if
2 the Commission were to grant plant in service accounting,
3 does Staff have -- will Staff witnesses have a proposal
4 for what a commensurate reduction in ROE should be?

5 MR. THOMPSON: We don't have one at this
6 time, but we'll certainly develop one.

7 CHAIRMAN GUNN: My second question is kind
8 of a more broader question, and it's kind of a policy
9 question. If the world has changed, why should we still
10 continue to regulate like it's still 1913? Isn't there
11 a -- isn't there a reason to now reevaluate some of our
12 structures and regulatory frameworks to make a
13 determination to see whether -- if an impact on rates is
14 minimal, shouldn't we at least take a look at the way
15 we're doing things now? Because if we don't, aren't we
16 going to be dealing with the same issue in the next rate
17 case, in the next rate case, in the next rate case, and
18 aren't the things -- the only thing we're left with in
19 order to try to fix this are rate increases.

20 That as you talk about, as you describe the
21 company as a mature company, since you don't have
22 expansion anymore, according to what you said, in order to
23 help support the financials of the company, isn't then the
24 only thing that you have to support it are rate increases?
25 It's a very broad question and I'm -- and I apologize for

1 that, but it brings out -- your opening statement brought
2 up an interesting point.

3 MR. THOMPSON: Well, I think you're
4 absolutely right, Mr. Chairman. I think the Commission
5 does have to think about how do we regulate if the world
6 has changed, what are the structures, what are the
7 processes, what should it be? Because just as doing
8 business has changed for the company, so doing regulation
9 perhaps should change in response by the Commission.

10 Now, that's a big, big question, and I
11 don't have answers for you standing here today. I can
12 point to the problem, but I can't tell you what the
13 answers look like. What I can tell you is there's a lot
14 of people who are much smarter than I am that are very
15 invested in this issue and this process, and that perhaps
16 a working group docket to explore those questions might be
17 the way to go.

18 CHAIRMAN GUNN: Thanks, Kevin.

19 MR. THOMPSON: Thank you, sir. Any other
20 questions?

21 JUDGE WOODRUFF: Thank you. Public
22 Counsel?

23 MR. MILLS: Good morning. May it please
24 the Commission?

25 Public Counsel also opposes construction --

1 I'm sorry, not construction -- plant in service
2 accounting. I think the record will reflect, and I think
3 Mr. Byrne essentially conceded this this morning, plant in
4 service accounting is a made-up concept. You won't find
5 it in any textbook. You're not going to find it in any
6 journal. You're not going to find it in an article in
7 Public Utilities Fortnightly. You're not going to find
8 people talking about it on a panel at NARUC.

9 Moreover, you certainly would not have
10 heard this company talking about it in the 1980s, the
11 1900s, even the early 2000s. UE has created this concept
12 because we are in a part of the cycle where investments
13 are needed and investment is outpacing the ability of
14 depreciation to keep up currently right now, and that's
15 all it is.

16 I disagree with Mr. Thompson that we're in
17 sort of the dotage of this company. I don't think that we
18 can predict standing here today that the growth either by
19 usage or by customer will never again return. We've been
20 through a lot of cycles in the last hundred years of
21 regulation. I don't see any reason to believe that this
22 is any different, that we're at sort of the end stage of
23 this company or that we need to change regulation
24 dramatically to deal with something that more than likely
25 is simply another cycle.

1 So I think -- I think the youth age thing
2 is the wrong analogy. I think they're simply in a down
3 turn of a cycle. The cycles have been with us for a
4 hundred years of regulation. The regulatory process has
5 always learned to manage them. The companies have always
6 done well. There are times when they profit less than
7 other times. There are times, as Mr. Thompson said, where
8 they profit so much that they not only have to give some
9 back, they have to lower rates, they make refunds to
10 customers. That's part of the cycle.

11 Chairman Gunn, in your question to
12 Mr. Thompson, I don't think that at this point it's
13 regulation that needs to change. I think it's the company
14 that needs to change. At this point in the cycle, the
15 company is unfamiliar with having to deal with managing
16 its business without the crutch of growth to lean on.

17 When they've got growth just hand over
18 fist, as Mr. Thompson said, it's easy to run the company
19 without a close hand on the tiller. When things are
20 leaner, you have to pay a lot more attention to everyday
21 items. You have to work more efficiently. You have to
22 operate more efficiently.

23 And I don't think it's regulation that's
24 failing to do that. I think it's the company that's
25 failing to do that. And first and foremost, it's the

1 company that has to run its business in a way commensurate
2 with the income that it's got coming in.

3 Mr. Byrne referred to the situation that
4 they're in currently as chronic, and I think that's
5 somewhat ironic because at best it dates back to about
6 2007, and I don't think when you're talking about a
7 hundred-year-old industry and a hundred-year-old company
8 and a hundred-year-old process that you can talk about
9 five years as a chronic condition. At best it's an
10 ephemeral condition. At this point, you know, we may find
11 out something different, but it certainly is not a chronic
12 condition that requires massive surgery at this point.

13 Really, this is just another gambit that UE
14 is floating, like interim rates before it, like the
15 process they proposed in the Legislature to shorten the
16 rate case, to try to get more money more quickly because
17 they're not getting the growth that they're accustomed to.
18 Rather than changing the way their company operates, they
19 want to change the paradigm under which they operate.

20 Now, you've heard in the opening statements
21 and you read in the testimony the analogy to construction
22 accounting. Plant in service accounting is not the same
23 as construction accounting. Construction accounting, at
24 least for the Sioux scrubbers and for most other projects,
25 it's an agreed-upon process that the parties agree to to

1 deal with extraordinary items, and that's key. It's to
2 deal with extraordinary items. It's to deal with big
3 construction items.

4 When you take a concept that's designed to
5 account for extraordinary items and try to shoehorn the
6 everyday expenses, the everyday investments into something
7 like that, then you've greatly distorted the regulatory
8 process. And it's really -- it's kind of an issue for my
9 office because, you know, we try to do the right thing.
10 We will agree to construction accounting. We will agree
11 to a regulatory plan for KCPL because we think it's the
12 right thing to do, and then we end up getting all that
13 stuff thrown back in our faces and say, well, gosh, you
14 agreed to construction accounting for Sioux. Why can't we
15 have construction accounting for every line that we
16 replace every day?

17 Well, you can't because it's different.
18 You make exceptions to the regulatory process for
19 extraordinary items because they are extraordinary, but
20 that doesn't mean that you should leverage those
21 extraordinary exceptions into everyday costs of doing
22 business.

23 Thank you.

24 COMMISSIONER KENNEY: Can I ask a quick
25 question? I think I understand your last argument, and so

1 it kind of undermines my question, but I'm going to ask it
2 anyway. The plant in service accounting, separating out
3 the aspect that allows the recovery of depreciation
4 expense, which is the portion that allows them to recover
5 their cost of capital, how is that radically different
6 from AFUDC and are you -- is it your -- is that your
7 argument, that it's not an extraordinary item, therefore
8 we shouldn't be using it?

9 MR. MILLS: Well, for one thing, AFUDC is
10 required by GAAP. It's not required that you as
11 regulatory treatment recognize it, but it's required by
12 GAAP. I think that's a difference between construction
13 accounting and the sort of everyday kinds of investment
14 that we're talking about here.

15 But I think that the big difference is, as
16 I said, that one is extraordinary and one is not. One is
17 you don't -- you don't learn to manage your business on a
18 daily basis, you know, the same way that you would when
19 you have a major construction project going on. It's a
20 different way of doing things and it happens once in a
21 while, once every few years, once every few decades from
22 time to time. They went a long, long time without any
23 major construction projects.

24 And so it's one thing to make exceptions
25 for those extraordinary items. It's another thing to say

1 that we're just going to change the entire process to look
2 like it's an extraordinary time when it's not.

3 COMMISSIONER KENNEY: And that's -- I
4 understand that argument. That makes sense.

5 The other question I have, does the Office
6 of Public Counsel have any -- this is similar to the
7 question that Chairman Gunn asked -- any proposal or any
8 thought about a concomitant reduction in ROE if we were to
9 grant this?

10 MR. MILLS: No, although I will agree with
11 Mr. Byrne that this would be a huge change in the
12 regulatory process, and I think it would require a huge
13 change in requisite returns. As far as I know, no one in
14 this case has even taken a shot at calculating the
15 required reduction in return.

16 COMMISSIONER KENNEY: Okay. Thank you.

17 CHAIRMAN GUNN: Just to follow up,
18 Mr. Baxter said it would reduce the risk hardly at all, if
19 you remember the policy statements. But I'm still trying
20 to -- I'm not an accountant, and I don't have a
21 background, so I'm still trying to figure out some the
22 mechanics

23 MR. MILLS: Neither am I, but I will try to
24 blindly lead you through it.

25 CHAIRMAN GUNN: But I have a sense this is

1 kind of like a giant AAO where you are allowing -- you're
2 taking all these -- you're bundling all these construction
3 projects together, creating kind of a giant AAO over it
4 and allowing them to accrue on that as they're segregating
5 that out, where typically what we do is we don't bundle
6 them altogether and we separate those out in slices and we
7 deal with the slices on an everyday basis, and then if any
8 individual slice is either too big to deal with it or it's
9 unusual because Joplin or something else happens, then
10 we -- then we say, okay, for this particular slice we're
11 going to either do an AAO or construction accounting or
12 something else to treat it differently. Is that your --
13 is that a non-accountant lawyer -- am I on the right
14 track?

15 MR. MILLS: Yeah. It is sort of an
16 accumulation and deferral kind of thing. But as you
17 recall from all the AAO cases, one of the -- you know, the
18 companies always have to try to shoehorn whatever they're
19 asking for an AAO for into the extraordinary basket. They
20 have to first convince you that it's extraordinary before
21 they can even ask to get it deferred, and that's -- that's
22 what I was talking to Commissioner Kenney about.

23 These are not extraordinary. This is the
24 everyday cost of doing business, and they want to treat it
25 somehow equivalent to what extraordinary items are

1 treated.

2 CHAIRMAN GUNN: And that's part of why I
3 asked the question, because I think that if in concept I
4 was correct, then it creates a threshold question exactly
5 to -- or it may create a threshold question exactly to
6 your point, that are these projects of such a nature that
7 they deserve to be treated differently than we've been
8 treating them in the normal everyday course of business
9 for however long we've been doing it.

10 MR. MILLS: Right. And I think that's --
11 that's a great first question to ask.

12 CHAIRMAN GUNN: And I also -- I also get
13 your point about sometimes five years or less may not an
14 end of -- or maturity make. Put it that way. Thanks. I
15 don't have anything further.

16 JUDGE WOODRUFF: Okay. Thank you. MIEC.

17 MR. DOWNEY: Good morning. May it please
18 the Commission? My name is Ed Downey. I represent the
19 MIEC.

20 This morning we address Ameren's proposal
21 for an extraordinary change to its ratemaking approach in
22 the form of plant in service accounting. Mr. Byrne
23 referred to this as a significant enhancement of revenue,
24 which it is. All other parties who have weighed in on
25 this issue oppose it.

1 The proposal is premised on Ameren's claim
2 of excessive regulatory lag. Ameren points to prior
3 periods when for various reasons it has failed to fully
4 earn its authorized return on equity. That is why the
5 issue addressed today is so closely linked to the
6 testimony you heard on Thursday regarding policy.

7 As was demonstrated on Thursday and
8 contrary to Ameren's claims, the Missouri regulatory
9 machine is not broken, and you will hear more on this
10 later when Mr. Gorman's testimony is introduced. He was a
11 witness on Thursday. He's a witness today.
12 Unfortunately, he's not going to show up until Friday. So
13 we haven't heard his testimony yet. You probably read the
14 prefiled testimony.

15 Ameren seeks to focus on its earned level
16 of return since 2007 while ignoring the generous returns
17 it earned for over a decade prior to 2007. Ameren also
18 would like you to ignore the fact that its most recent
19 one-year period ending June 2012 it earned 10.53 percent
20 over its authorized return on equity, even before
21 accounting for any of the large revenue increase it's
22 seeking in this case. So imagine what that 10.53 percent
23 return on equity would have been if we had another 150 or
24 more million dollars in revenue.

25 MIEC recommends rejection of the company's

1 proposed sweetening of the Missouri regulatory framework
2 in the form of PISA accounting for several reasons. One,
3 Ameren has failed to prove any extraordinary financial
4 need for the PISA relief it requests. The company's prior
5 returns do not accurately predict future earnings
6 attrition. No other state has adopted such an open-ended
7 PISA accounting mechanism, contrary to the representations
8 of Ameren's witnesses. And Mr. Brosch addresses this in
9 his testimony.

10 Ameren already receives an allowance for
11 funds used during construction, AFUDC, which fully
12 compensates Ameren for its expenditures up to the point
13 where the plant is placed in service. Ameren's PISA
14 proposal takes AFUDC one step further by allowing a
15 deferred return and deferred depreciation on plant placed
16 into service between test years before it can be formally
17 included in rate base.

18 PISA is single-issue ratemaking. It's poor
19 regulatory policy. Everything changes between rate cases,
20 but PISA would focus solely on specific increasing costs
21 while ignoring other changes. New plant being added might
22 create efficiencies that reduce O&M. For instance, a
23 plant that is at the end of its useful life might have a
24 very high O&M expense that is baked into rates. That
25 plant is replaced by a more efficient plant with much

1 lower operating and maintenance expenses, and the lower
2 O&M expenses would not be factored in to rates under
3 Ameren's proposal.

4 PISA would eliminate all regulatory lag
5 associated with newly added plant investment. Regulatory
6 lag is not wholly evil as suggested by Ameren because it
7 provides an important incentive for management efficiency.
8 Regulatory lag encourages management to carefully control
9 the costs incurred between test years.

10 In contrast, PISA will simply produce
11 higher future rates for all of the plant investment Ameren
12 elects to add between test years.

13 Ameren's PISA proposal is fatally flawed in
14 its failure to account for incremental accumulated
15 deferred income taxes, ADIT, arising from new plant
16 investment. Substantial new tax deferrals are created
17 whenever new plant investment is made. Ameren's PISA
18 proposal would defer a return on investment and
19 depreciation on such new plant investment while completely
20 ignoring growth in ADIT.

21 The Commission will read and hear the
22 testimony of Staff and MIEC witnesses Brosch and Gorman
23 opposing PISA for the reasons stated. I encourage the
24 Commission to deny this extraordinary accounting
25 treatment.

1 I'll try to answer questions. I'm not as
2 knowledgeable as the other lawyers on this.

3 CHAIRMAN GUNN: I don't have anything.

4 JUDGE WOODRUFF: Thank you. That will be
5 all the openings, so we'll go with the first witness,
6 which will be Ms. Barnes.

7 (Witness sworn.)

8 JUDGE WOODRUFF: You may inquire.

9 MR. BYRNE: Thank you, your Honor.

10 (AMEREN EXHIBIT NOS. 11NP, 11HC, 12NP, 12HC
11 AND 13 WERE MARKED FOR IDENTIFICATION BY THE REPORTER.)

12 LYNN BARNES testified as follows:

13 DIRECT EXAMINATION BY MR. BYRNE:

14 Q. Good morning, Ms. Barnes.

15 A. Good morning.

16 Q. Could you please state your name for the
17 record?

18 A. Lynn M. Barnes.

19 Q. And by whom are you employed?

20 A. Ameren Missouri.

21 Q. In what capacity?

22 A. I'm vice president of business planning and
23 controller.

24 Q. Ms. Barnes, are you the same Lynn Barnes
25 that caused to be filed in this case direct testimony

1 **which has been marked as Exhibit 11 in its HC and NP form**
2 **and rebuttal testimony that's been marked as Exhibit 12 in**
3 **its HC and NP form and surrebuttal testimony that's been**
4 **marked as Exhibit 13?**

5 A. Yes.

6 Q. And do you have any corrections to that
7 **testimony at this time?**

8 A. I actually do have a correction to my
9 direct testimony.

10 Q. Okay.

11 A. On page 18 in the non-confidential --
12 actually, it's on page 18 of both versions, and it's not a
13 confidential issue, but on both of those pages one line
14 22, I need to insert the words 1/10 of between
15 approximately and 1 percent.

16 Q. Okay. Any other corrections?

17 A. No.

18 Q. Okay. As corrected, is the information
19 **contained in your prefiled testimony true and correct to**
20 **the best of your knowledge and belief?**

21 A. Yes, it is.

22 Q. And if I were to ask you the questions
23 **contained in that prefiled testimony today when you're**
24 **here under oath, would your answers be the same?**

25 A. Yes, they would.

1 MR. BYRNE: Your Honor, I'd offer
2 Exhibits 11, 12 and 13, I guess 11HC and NP, 12HC and N
3 and 13 into the record and tender Ms. Barnes for
4 cross-examination.

5 JUDGE WOODRUFF: 11, 12 and 13 have been
6 offered. Any objections to their receipt?

7 MR. MILLS: Yes, your Honor.

8 JUDGE WOODRUFF: What's your objection?

9 MR. MILLS: With respect to the rebuttal
10 testimony, page 37, the sentence that begins on line 21,
11 carries over to page 38, line 1, including the footnote, I
12 move to strike that as hearsay. Ms. Barnes is referring
13 to some study that's not attached to her testimony that
14 she did not conduct or participate in conducting and draws
15 conclusions from that study.

16 JUDGE WOODRUFF: Give me a moment. I'll
17 pull that testimony out.

18 MR. MILLS: And that portion of the
19 testimony, I don't know if it makes any difference, but
20 it's all being offered now, but that pertains to the rate
21 case expense issue rather than the plant in service
22 accounting issue.

23 JUDGE WOODRUFF: Page 37?

24 MR. MILLS: Yes. It's the sentence that
25 begins at the very end of line 21 of page 37 and carries

1 on to half of line 1 on page 38.

2 JUDGE WOODRUFF: Talking about the recent
3 survey conducted by Staff?

4 MR. MILLS: Correct.

5 JUDGE WOODRUFF: And what's your response?

6 MR. BYRNE: First a threshold, question,
7 your Honor. Is there a -- some cases the Commission has
8 required people to prefile motions to strike testimony.
9 Is that applicable to this case or not?

10 JUDGE WOODRUFF: I've not made any order
11 like that.

12 MR. BYRNE: Okay. I guess, your Honor, the
13 testimony that Mr. Mills proposes to strike talks about
14 the Staff's survey of other jurisdictions and the fact
15 that the survey showed that they didn't -- that there was
16 no jurisdiction where the rate case expenses were shared
17 between ratepayers and shareholders. I think that's the
18 kind of information that an expert like Ms. Barnes is
19 entitled to rely on. I think it's an exception to the
20 hearsay rule.

21 JUDGE WOODRUFF: Your response to that,
22 Mr. Mills?

23 MR. MILLS: I don't -- first of all, we
24 don't have any foundation about how the study was
25 conducted, whether it was thorough, who did it, how they

1 did it. I think for this witness to draw this conclusion,
2 you know, based upon a study that was presented in a slide
3 at a NARUC subcommittee meeting, I do not think that's the
4 kind of thing that an expert would rely on.

5 MR. BYRNE: And I also think it's an
6 admission by a party opponent on the rate case expense.
7 Staff is opposing us on rate case expense, and that's an
8 admission by the Staff.

9 JUDGE WOODRUFF: Mr. Thompson, let me ask
10 you, has this been filed in that case? I don't remember
11 seeing it.

12 MR. THOMPSON: I don't believe so.

13 MR. MILLS: I don't believe so either.

14 MR. BYRNE: It doesn't have to be filed to
15 be an admission by a party opponent.

16 MR. MILLS: The whole notion of an
17 admission by a party opponent gets a little problematic
18 when there are more than one opponents and you're talking
19 about some sort of a study rather than a clear admission.

20 JUDGE WOODRUFF: I'm going to go ahead and
21 grant the motion. That sentence is struck. So just to be
22 clear, it is page 37, line -- beginning with the word
23 perhaps on line 21 through the end of that page. Ends on
24 line 1 of page 38 after the footnote?

25 MR. MILLS: Yes, it does. Yes.

1 JUDGE WOODRUFF: Okay. That was your only
2 objection?

3 MR. MILLS: That's correct.

4 JUDGE WOODRUFF: Subject to that ruling,
5 then 11, 12 and 13 are received.

6 (AMEREN EXHIBIT NOS. 11, 12 AND 13 WERE
7 RECEIVED INTO EVIDENCE.)

8 JUDGE WOODRUFF: And for cross-examination
9 we begin with MIEC.

10 MR. DOWNEY: No cross.

11 JUDGE WOODRUFF: All right. Public
12 Counsel?

13 MR. MILLS: Thank you, Judge.

14 CROSS-EXAMINATION BY MR. MILLS:

15 Q. Good morning, Ms. Barnes.

16 A. Good morning.

17 Q. Ms. Barnes, do you know of another state
18 utility commission that has authorized plant in service
19 accounting?

20 A. Not in the form that we've proposed in this
21 case.

22 Q. Is that a relevant consideration for this
23 Commission to look at?

24 A. Not necessarily. Again, I think as
25 Mr. Byrne mentioned in his opening and as we've observed,

1 there are many ways to solve this problem. It's a gap
2 that exists. Interim rates, forward test years, formula
3 rates are all options that other states have adopted that
4 would address this problem. Those are not necessarily all
5 options that we have in the state of Missouri.

6 So what we proposed was something that we
7 felt the regulatory process would allow in Missouri to
8 attempt to mitigate and address the issue.

9 **Q. So you believe it's -- do you believe it is**
10 **totally irrelevant for the Commission to consider that no**
11 **other state has adopted this mechanism before?**

12 A. Relevance, I think it's again what we have
13 to work with in the state of Missouri versus what other
14 states have done to address the issue. So whether or not
15 we're the first ones to come up with this particular way,
16 every state jurisdiction is different in how they address
17 issues.

18 **Q. So was that a yes, it is totally irrelevant**
19 **or no, it is not totally irrelevant?**

20 A. I guess it's a yes, it is irrelevant.

21 **Q. Now, in your direct testimony, your**
22 **definition of plant in service accounting is on page 16,**
23 **correct?**

24 A. I have to look. Yes, that's correct.

25 **Q. Now, you wrote this testimony, correct?**

1 A. I did.

2 Q. And so you are the one who created this
3 definition of plant in service accounting?

4 A. Yes.

5 Q. Did you create the concept of plant in
6 service accounting?

7 A. I think the concept was already out there
8 in that we've had forms of this on an exception basis,
9 which we have referred to in the past as construction
10 accounting. It's a broader interpretation of that.

11 Q. Are you the person who decided to bring
12 forward the concept of extending construction accounting
13 to plant in service accounting?

14 A. I made the proposal to our leadership,
15 uh-huh.

16 Q. And prior to your making that proposal, had
17 you ever seen this particular mechanism in any
18 authoritative text on utility ratemaking?

19 A. Not specifically, no.

20 Q. Any treatise?

21 A. No.

22 Q. Any journal articles?

23 A. No.

24 Q. Any Public Service Commission decisions?

25 A. Not other than how we've seen it

1 implemented from a construction accounting on specific
2 projects.

3 Q. Any court cases?

4 A. No.

5 Q. Now, the existing framework -- and I'm
6 still on page 16 of your direct and the question and
7 answer that's at the bottom of page 16 carrying over.
8 What you refer to as the existing regulatory framework, is
9 that -- when you use the term existing regulatory
10 framework, are you talking about rate case rate of return
11 regulation as it's existed in Missouri for roughly 100
12 years?

13 A. Yes, and how assets are treated, uh-huh.

14 Q. And your application of plant in service
15 accounting would only apply to non-revenue-producing
16 assets; is that correct?

17 A. That's what our proposal is, yes.

18 Q. Has the company ever made a proposal to
19 capture increased revenues from revenue-producing assets
20 in between rate cases?

21 A. Other than generally what we're
22 interpreting as new business would be for new customers
23 that didn't exist before. So we can look at increases
24 relating to that segment, but it's not carved out
25 specifically when we look at our revenues.

1 Q. Okay. Have you ever made a proposal to try
2 and capture those increased revenues for possible
3 treatment in the next rate case?

4 A. Not specifically, but I would --

5 Q. Even generally?

6 A. No. It would take years and years and
7 years to recover those in rates from those customers.
8 Their usage just doesn't warrant the immediate recovery of
9 the capital expenditure we need to make to put them in
10 service.

11 Q. Now, the way you've proposed plant in
12 service accounting, mathematically it could never lead to
13 lower rates, could it?

14 A. No.

15 Q. It only works one way, correct?

16 A. It only works one way by allowing the
17 customer to pay for the benefit they're receiving from the
18 new asset.

19 Q. Now, turning in your rebuttal -- I'm sorry,
20 your direct tomorrow to page 19, and particularly your
21 description at lines 15 to 16 about where you say assets
22 that are placed in service before assets can be reflected
23 in rates.

24 A. Yes.

25 Q. Again, isn't that the traditional rate of

1 **return regulatory paradigm that assets are placed in**
 2 **service before they are reflected in rates?**

3 A. The way it works in Missouri, that's
 4 absolutely true, because the true-up period is typically
 5 about five months before rates are put into effect. So
 6 there's a minimum of a five-month under-recovery or
 7 non-recovery, frankly, of the depreciation and the return
 8 on those assets placed in service, even though the
 9 customer's benefiting from those at the point in time that
 10 they're placed in service.

11 Q. **Isn't, in effect, your plant in service**
 12 **accounting proposal a way to get ratepayers to invest in**
 13 **your system?**

14 A. Isn't that what they want to do is invest
 15 in our system? It's to improve the reliability of the
 16 system for their benefit.

17 Q. **Is that's a yes?**

18 A. Yes.

19 Q. **Shouldn't customers get a return, then, if**
 20 **they're going to invest in your system?**

21 A. They do get a return. They get improved
 22 reliability in our system.

23 Q. **Now, as you testify here today, do you**
 24 **believe that Union Electric is investing -- are you**
 25 **investing in your system in Missouri at the optimal rate?**

1 A. We are investing in excess of our
2 depreciation. So is it optimal? It's optimal -- it's as
3 close to optimal as we are willing under the current
4 regulatory framework, I guess is the way to think about
5 that. Is it what we want to do if we had regulatory
6 treatment that didn't result in not being able to recover
7 the cost of those investments? Then I think it would be
8 suboptimal.

9 Q. So it's your testimony that if you had a
10 different regulatory treatment that from your perspective
11 is better, you would be investing more in your system and
12 rates would be going up more than they are today; is that
13 correct?

14 A. The benefit is --

15 Q. Is that correct?

16 A. Yes, that is correct.

17 Q. Okay. Now, on page 18 of your rebuttal
18 testimony, at lines -- the sentence that starts on line 7
19 and continues to line 9, you state that Ameren Missouri
20 and other utilities in the state have not been able to
21 consistently earn their authorized returns. Do you see
22 that statement?

23 A. Yes.

24 Q. Over what period of time did you analyze to
25 come up with that statement?

1 A. Well, certainly for us it's been
2 approximately five years, six years, since 2007.

3 **Q. Did you look at any period of time farther**
4 **back than five years ago when you made that statement?**

5 A. No, I wouldn't say I did.

6 **Q. Do you believe that statement would be**
7 **accurate if you looked farther back than five years ago?**

8 A. Well, again, as has been mentioned in
9 several opening statements, I think the scenario or the
10 economics five years ago were different than they are
11 today in that there was less of a need. This problem
12 existed. It's existed since regulation was formed. It's
13 just that it was masked and potentially overcome by the
14 fact that we had growth in the system, and so we were able
15 to earn our allowed return without worrying necessarily
16 about this particular issue.

17 But as has also been pointed out in several
18 opening statements, the times have changed and that's not
19 necessarily the case.

20 **Q. So the answer to my question is you don't**
21 **know that this would be true if you looked at a longer**
22 **period of time or it would not be true if you looked at a**
23 **longer period of time?**

24 A. I think historically there are going to
25 have been times in our history where it may have been true

1 or there are times in our history when it may not have
2 been true. But I have not in my short tenure, when you
3 think of the hundred years with the company, seen a
4 scenario where customer growth has not been able to
5 overcome whatever shortfall has been in the process from
6 growth in the system.

7 Q. Now, customer growth, all other things
8 being equal, leads to increased revenues, does it not?

9 A. Yes.

10 Q. Isn't another way to -- for a company to be
11 able to consistently earn its rate of returns even without
12 customer growth is to cut its costs?

13 A. Yes, and we've been doing that over the
14 last five years quite dramatically.

15 Q. Now, are you willing to concede that at
16 times in the past that regulatory lag has worked to the
17 company's advantage?

18 A. In cases where it has, yes, it has, and
19 we've refunded to customers and lowered rates as a result.

20 Q. Have you refunded every dime that you've
21 overearned?

22 A. Probably not. The system's not quite that
23 precise.

24 Q. What refunds are you talking about?

25 A. Well, the -- we, as Mr. Thompson pointed

1 out, had an alternative regulation plan where in cases
2 where we earned above what the agreed-upon ROE was, we
3 refunded back to customers, and we additionally had a
4 complaint case in 2002, and that resulted in a reduction
5 in rates.

6 **Q. And were both of those during your tenure?**

7 A. No. Shortly -- I started with the company
8 in 1997. So I wasn't involved at the beginning of the
9 alternative plan, but I was with the company toward the
10 end.

11 **Q. Now, do you accrue AFUDC on every project**
12 **that you undertake?**

13 A. Yes, while its under construction we do.

14 **Q. From a nuclear power plant to putting a**
15 **pole in service?**

16 A. Yes.

17 **Q. And GAAP requires that, does it not?**

18 A. GAAP requires that you capitalize interest
19 for construction, uh-huh.

20 **Q. Does the regulatory treatment necessarily**
21 **follow GAAP? In other words, is a Public Service**
22 **Commission required to allow recovery of those?**

23 A. No, it's not required to do what GAAP
24 allows.

25 **Q. Okay. Now, if I can get you to turn in**

1 **your rebuttal testimony on page 22, line 4, you refer to**
2 **many years the company has presented evidence. How many**
3 **years?**

4 A. Well, I think we've been in five rate cases
5 now in the last five years, and I believe consistently
6 we've demonstrated in those cases that we've not been able
7 to earn our allowed return on a consistent basis.

8 Q. **So your reference there to many years means**
9 **the last five years, correct?**

10 A. Yeah, I guess so.

11 Q. **In your rebuttal testimony at pages 23 to**
12 **24, you're responding -- starting more or less at the**
13 **bottom of page 23, you're responding to the -- to the**
14 **argument that plant in service accounting is a form of**
15 **single-issue ratemaking. Do you recall that testimony?**

16 A. I do. I recall it's not -- I disagree that
17 it is single-issue ratemaking.

18 Q. **Correct. Would your reasoning as it**
19 **applies to plant in service accounting, would that apply**
20 **to trackers in general? If you followed the same**
21 **reasoning, would your reasoning lead one to conclude that**
22 **trackers are not single-issue ratemaking?**

23 A. Yes, they would, because they do not change
24 rates.

25 Q. **So the way you look at single-issue**

1 ratemaking, if it doesn't actually change rates, it's not
2 single-issue ratemaking, correct?

3 A. That's correct.

4 Q. Now, on page 25 of your rebuttal testimony
5 at line 10, you make a reference to excessive regulatory
6 lag in Missouri. Do you see that reference?

7 A. Yes.

8 Q. If the Commission believes that regulatory
9 lag is not excessive in Missouri and that your rate of
10 investment is optimal, would the Commission find any need
11 for plant in service accounting?

12 A. I guess not.

13 Q. Isn't the need for plant in service
14 accounting premised on the notion that regulatory lag is
15 excessive and that you are not currently investing in your
16 system under the current regulatory paradigm at the
17 optimal rate? Don't you need both of those things in
18 order to authorize plant in service accounting?

19 A. If the Commission is going to tell us how
20 much they want us to invest, they would be sending that
21 message by not allowing plant in service accounting
22 because that would drive a behavior then that would result
23 in lower investments or less investments because we have a
24 disincentive to invest under the current premise.

25 Q. Less investments than you're currently

1 **making or less investments than you would otherwise be**
2 **making?**

3 A. Well, I think we would have to look at all
4 of the factors that are considered in rates, and once the
5 rate order is complete, figure out how to operate our
6 business within the confines of what is in the order.

7 Q. And that's the case no matter what the
8 order says, isn't it?

9 A. That's correct.

10 Q. In every single rate case, once your rates
11 are reset, you take a look and decide how to move forward,
12 correct?

13 A. That's correct.

14 Q. I don't want to get very deep into the ADIT
15 issue here.

16 A. Appreciate that.

17 Q. But just from sort of a high level, is it
18 your testimony that the use of ADIT and that plant in
19 service accounting are two separate mechanisms that really
20 have no relationship to each other?

21 A. They're related obviously because they're
22 both related to capital investments. I think the position
23 that we have is that the purpose for ADIT and the whole
24 point of having it is to give companies an incentive to
25 invest. And if that benefit is refunded or returned to

1 customers before the corresponding costs are reflected in
2 rates, then that removes that incentive to invest. So our
3 position is that ADIT should be evaluated at the point in
4 time when the plant in service or when the investments are
5 actually put into rate base, and then it would be
6 evaluated along with all of the other factors that are
7 considered at that time.

8 **Q. So ADIT is a mechanism designed to**
9 **encourage investment, correct?**

10 A. That's what the tax code is, yes.

11 **Q. And plant in service accounting is a**
12 **mechanism designed to encourage investment, correct?**

13 A. Yes. But plant in service accounting
14 doesn't create the cash flows that result. The cash flows
15 are only realized once the plant in service accounting
16 deferrals are actually built into rates or into rate
17 base in a subsequent case.

18 **Q. But they're two different mechanisms, each**
19 **designed to encourage investment in the system, correct?**

20 A. Yes.

21 **Q. Okay. Is it possible for a state**
22 **commission to over-incentivize investment?**

23 A. I'm not sure I understand what that means.
24 What do you mean by over-incentivize?

25 **Q. Well, would you agree that utility**

1 companies operate differently depending on the messages
2 and the kind of regulatory treatment they get from their
3 state commissions?

4 A. Sure.

5 Q. And the commission can take steps that
6 would incent a company to invest in infrastructure,
7 correct?

8 A. Yes.

9 Q. Is it possible for a commission to
10 over-incentivize infrastructure and have companies
11 overbuild?

12 A. I think there would be a risk there from
13 the company's perspective that in a subsequent rate case
14 those I over-investments could be deemed disallowed. I
15 think that there's always a mechanism of check and balance
16 on the other side to minimize that from happening.

17 Q. Is that a yes, it is possible or a no, it
18 is not possible?

19 A. I would say no, it is not possible, based
20 on the process.

21 Q. Now, you were here this morning for the
22 opening statements, correct?

23 A. Yes.

24 Q. Do you agree with the premise that Chairman
25 Gunn raised in his question that the plant in service

1 **accounting is, in essence, a deferral mechanism?**

2 A. Yes.

3 **Q. Okay. Don't all deferral mechanisms by**
4 **definition violate the matching principle?**

5 A. Not necessarily. I think this could be
6 very much in line with the matching principle in that the
7 expense would be amortized and would be included in the
8 income statement the same time that the revenue collected
9 from customers to recover that expense would be reflected
10 in the revenues. So actually it aligns them much closer
11 from that perspective.

12 **Q. Let's back up a step and have you define**
13 **for me your -- the way you use the term the matching**
14 **principle.**

15 A. Well, the matching principle is designed to
16 reflect revenues and costs in the same period so you don't
17 have a mismatch between when the expense is incurred
18 versus when the revenues are collected for that expense.
19 By deferring the expense into the period when those are
20 actually reflected in rates, we actually have a matching
21 principle. If those costs are ultimately never going to
22 be reflected in rates, then there's not an issue here.

23 **Q. So in the purest sense, if you look at**
24 **something that didn't occur in the test year, do you not**
25 **see that as a violation of the matching principle?**

1 A. Not if it's being deferred to be recovered
2 in rates eventually. What we're matching is the point in
3 time we expense it with the point in time when we're going
4 to actually recover it in rates, so you don't have an
5 expense in one period and a revenue in a subsequent
6 period.

7 Q. Are you familiar with some of the cases in
8 which the Commission first established accounting
9 authority orders, the Sibley accounting authority orders,
10 for example?

11 MR. BYRNE: I'm going to object. Calls for
12 a legal conclusion. She's not a lawyer.

13 JUDGE WOODRUFF: Overruled.

14 BY MR. MILLS:

15 Q. I'm sorry. I didn't get your answer.

16 A. I'm not intimately familiar with all those
17 court cases. I'm not aware.

18 Q. Are you familiar with the concept of an
19 accounting authority order?

20 A. Yes.

21 Q. So if the Commission had stated that it
22 views the granting of an accounting authority order as a
23 violation of or an exception to the matching principle,
24 would you disagree?

25 A. Based on the court cases, I guess the

1 conclusion is what it is. From an accounting perspective,
2 I stand by what I said that I understand the matching
3 principle to be.

4 Q. I'm not talking about court cases. I'm
5 talking about this Commission and its decisions saying
6 that an accounting authority order violates the matching
7 principle. Do you disagree with that?

8 A. Well, what I was referring to was what I
9 understand as an accountant to be Generally Accepted
10 Accounting Principles. As I said before, the Commission
11 doesn't necessarily have to follow those, and we then
12 adjust our accounting to match what the Commission
13 regulation requires.

14 Q. Now, can you recall the last time that the
15 Commission made a prudence disallowance in one of your
16 rate cases?

17 A. Well, we had a Taum Sauk disallowance in
18 the last case. I don't recall if that was specifically
19 related to prudence. I don't believe we believed it was
20 prudence disallowance. So other than that, not during my
21 tenure with the company has there been a prudence
22 disallowance.

23 Q. And your tenure again started in 1997?

24 A. That's correct.

25 Q. Would you agree that generally if the

1 Commission gets the incentives that it signals to a
2 utility correct, then there is less need to examine
3 prudence in hindsight in rate cases?

4 A. Yes.

5 Q. Okay. And conversely, if the Commission
6 does not get the incentives right, then there's a greater
7 need to look at prudence, correct?

8 A. If they have a concern that for whatever
9 reason the company's not doing what they're supposed to, I
10 guess under that behavior.

11 Q. And wouldn't a company be less likely to
12 get things right if the incentives are skewed?

13 A. What do you mean exactly by get things
14 right?

15 Q. Well, for instance, if the Commission gives
16 the wrong incentives in terms of the amount that you
17 should be investing in your infrastructure --

18 A. Then --

19 Q. -- either too many incentives or too few
20 incentives, isn't it more likely that you would overinvest
21 or under-invest than if the incentives were just right?

22 A. Yes.

23 Q. Okay. And in either of those situations,
24 if the incentives are wrong, the Commission would have a
25 greater need to look for prudence after the fact, correct?

1 A. I guess I'm taking a little bit of
2 exception with the thought of it being prudence. If the
3 Commission incentives suggest that the company should or
4 should not be investing in their system, I think that's a
5 different decision than did they prudently invest the
6 funds that they chose to invest and did they mismanage
7 their costs. I guess I'm not understanding kind of how
8 those blend together or how that correlation works from
9 your perspective.

10 **Q. Well, earlier you said that a prudence**
11 **review is a check and balance on incentives.**

12 A. Uh-huh.

13 **Q. And I'm just trying to explore that.**

14 A. Well, to me, a prudence review suggests
15 that when the company is making an investment, that they
16 spent the money as efficiently and as optimally as they
17 could for an investment. And if the Commission felt that
18 that wasn't the case, they would have the ability to
19 disallow some of those costs.

20 **Q. Isn't another aspect of prudence review**
21 **whether that particular project or investment should have**
22 **been contemplated in the first place?**

23 A. Well, at some point management has the
24 responsibility to manage the company, and so those
25 decisions need to be made by management as to what

1 investments need to be made to maintain the system and to
2 make sure that we are not only providing safe and adequate
3 service but also meeting the reliability standard and
4 expectations that our customers have grown to expect.

5 **Q. When you were talking about a prudence**
6 **review as a check and balance on incentives, were you**
7 **talking about decisional prudence or executional prudence?**

8 A. I guess execution prudence in that
9 definition.

10 MR. MILLS: Okay. That's all the questions
11 I have. Thank you.

12 JUDGE WOODRUFF: Staff?

13 MR. THOMPSON: Thank you, your Honor. I
14 wonder if I might approach the screen.

15 JUDGE WOODRUFF: Certainly.

16 CROSS-EXAMINATION BY MR. THOMPSON:

17 **Q. Good morning, Ms. Barnes.**

18 A. Good morning.

19 **Q. Now, up to this point, you would agree with**
20 **me there's a statute that prohibits any of the costs of**
21 **the plant being constructed from being charged to**
22 **ratepayers; isn't that correct?**

23 A. I'm not as familiar with the statutes, but
24 as I understand it, customers do not begin to pay for that
25 until it's placed in service, so yes.

1 Q. Have you heard of the anti-CWIP statute?

2 A. Yes.

3 Q. And CWIP you'll agree with me is
4 construction work in progress?

5 A. Yes.

6 Q. Okay. And with respect to this section,
7 the part where -- you would agree with me this is all
8 stuff you could earn just as soon as you get it into
9 rates; isn't that right?

10 A. That's the premise, yes.

11 Q. Okay. So return on this capital and
12 depreciation expense on a plant that is, in fact, in
13 service and operating?

14 A. That's right.

15 MR. MILLS: Judge, I hate to interrupt
16 Mr. Thompson, but could I get a clarification about
17 whether this particular chart is in the record or is going
18 to be in the record?

19 JUDGE WOODRUFF: It's my understanding it
20 was only offered as a visual aid at the opening. So it's
21 not been offered as an exhibit.

22 MR. MILLS: The transcript might be clearer
23 if --

24 MR. BYRNE: I'd be happy to offer it if
25 that would be helpful.

1 JUDGE WOODRUFF: Let's go ahead and mark
2 it. Did you provide a copy to the court reporter?

3 MR. BYRNE: I did not.

4 MR. THOMPSON: Do we know what number?

5 JUDGE WOODRUFF: It will be 49.

6 (AMEREN EXHIBIT NO. 49 WAS MARKED FOR
7 IDENTIFICATION.)

8 MR. BYRNE: And, your Honor, I'd offer
9 Exhibit 49.

10 JUDGE WOODRUFF: 49 has been offered. Any
11 objections to its receipt?

12 MR. MILLS: Can I ask a voir dire question?

13 JUDGE WOODRUFF: Go ahead.

14 VOIR DIRE EXAMINATION BY MR. MILLS:

15 Q. Ms. Barnes, did you prepare this?

16 A. No, I did not.

17 Q. Are you familiar with it?

18 A. Yes.

19 Q. Are the different segments, the two blue
20 segments and the red segment, is There any sort of scale
21 there that's meant to equate to a period of time?

22 A. No, I don't think so. It could be any
23 period of time, frankly.

24 Q. So it's not necessarily the case that this
25 reflects that the red period of time is greater than the

1 **two blue periods of time?**

2 A. No. And arguably that red period of time
3 can be increased or decreased just depending on the
4 frequency of rate cases. The period of time that probably
5 is not movable is the red portion that's to the right of
6 where it says true-up cutoff, because under the current
7 process that's five months generally or the minimum of
8 five months.

9 **Q. And the blue periods of time are variable**
10 **as well?**

11 A. Yes, absolutely, because projects come and
12 go and take longer or less time, and generally I would
13 guess on the right that's a 30 to 40-year timespan.

14 MR. MILLS: Judge, I don't have any
15 objection based on those clarifying questions.

16 JUDGE WOODRUFF: All right. Hearing no
17 objections, then Exhibit No. 49 is received.

18 (AMEREN EXHIBIT NO. 49 WAS RECEIVED INTO
19 EVIDENCE.)

20 MR. THOMPSON: Thank you.

21 JUDGE WOODRUFF: Back to Mr. Thompson.

22 CROSS-EXAMINATION (RESUMED) BY MR. THOMPSON:

23 **Q. Mr. Mills got into my next question, which**
24 **is, you would agree with me, would you not, that the**
25 **amount of this that is unrecovered is controllable by the**

1 **company, at least to a degree, by the timing of the rate**
2 **case filing?**

3 A. Some of it is. The period I would say from
4 the in-service date to the true-up cutoff, we have some
5 ability, although minimal, I would say, because it's very
6 difficult. Some projects only take a few weeks to
7 complete. Other projects take multiple years, and so --

8 Q. I understand. But you would agree with me
9 **there is some control?**

10 A. Some.

11 Q. And it's the timing of when the rate case
12 **is filed?**

13 A. Uh-huh.

14 Q. Okay. And it's your testimony, I believe,
15 **that you can't get this any shorter than five months; is**
16 **that right?**

17 A. As I understand the regulatory process
18 currently, yes.

19 Q. Now, you would agree with me, would you
20 **not, that Staff audits the true-up figures?**

21 A. Yes.

22 Q. Okay. And so if this was reduced, would
23 **that not reduce Staff's opportunity to audit those**
24 **figures?**

25 A. If they need five months in order to audit

1 those figures, then yes, it would.

2 Q. Take this case, for example. When was the
3 true-up cutoff, if you know?

4 A. July 31st.

5 Q. Okay. And so during this period here is
6 when the rate case hearing is going to be going on; isn't
7 that correct?

8 A. That's correct.

9 Q. And that true-up cutoff you mentioned in
10 this case, did you file testimony after that date?

11 A. Yes.

12 Q. What testimony did you file after that
13 date?

14 A. I believe both rebuttal and surrebuttal
15 were filed after that date.

16 Q. Would you agree with me Staff filed
17 rebuttal and surrebuttal after that date as well?

18 A. Yes.

19 Q. As did the intervenors?

20 A. Yes.

21 Q. So a great deal of the rate case process
22 occurs between this date and, of course, when the rates go
23 into effect?

24 A. That's absolutely correct. I'm not sure
25 that equates to why the company should bear the cost or

1 the lack of recovery for the depreciation and the return
2 during that time frame, however.

3 Q. Okay. I accept that as your opinion. And
4 one last question about this. Would you agree with me
5 that this -- this area of non-recovery, we can call it a
6 donut hole if you want, that traditionally this has never
7 been recovered as long as we've had cost of service
8 regulation?

9 A. Not specifically, but as several of the --
10 you in particular and others have pointed out, during
11 periods of growth, that was -- we were still able to earn
12 our return without recovering those particular costs
13 because of the growth in the system and because there were
14 revenues that were coming from customers to overcome that
15 shortfall.

16 Q. I agree there was offsetting growth, but
17 this has never been recovered?

18 A. Not specifically, I would say.

19 Q. Thank you. So consequently, you would
20 agree with me that to allow recovery of that would, in
21 fact, be a departure from traditional cost of service
22 ratemaking?

23 A. As it exists in Missouri today. It's not
24 out of the realm.

25 Q. Okay. Thank you. Now, I think you've

1 testified in your direct testimony, and I'm looking at
2 pages 17 and 18. Okay?

3 A. Uh-huh.

4 Q. I'm looking at page 17 from line 7 to 13,
5 and you have a colorful chart there, that since the last
6 case, up to the time rates are expected to go into effect
7 in this case, that the size of what I've called the donut
8 hole is about 15 million; is that correct?

9 A. In direct. I actually updated that figure
10 in my surrebuttal, and the total number between the last
11 rate case true-up period, which would start March of 2011,
12 and the July 31st true-up for this case, that number is
13 actually 37 million.

14 Q. 37 million. That's quite a big bigger than
15 the 15 million you put in direct, isn't it?

16 A. That's correct.

17 Q. So if plant in service accounting is
18 implemented, that doesn't mean you immediately recover
19 that 37 million, does it?

20 A. No, not at all.

21 Q. That money would be deferred for a future
22 rate case, correct?

23 A. That's correct.

24 Q. And so any cash flows would not start until
25 that subsequent rate case?

1 A. That's correct.

2 Q. But you agree with me, would you not, that
3 granting the plant in service accounting, even without
4 immediate cash flows, nonetheless would ameliorate the
5 company's financial situation?

6 A. Yes.

7 Q. Because it would bring with it the
8 potential of recovering that money that traditionally has
9 just been gone, correct?

10 A. Yes.

11 Q. And so you would agree with me that that
12 necessarily would reduce the risk that the company will
13 not meet its authorized return on equity?

14 A. Okay. Just restating it in my words to
15 make sure I'm clear on what you're asking, it would
16 mitigate or solve maybe part of the problem of why we're
17 not able to recover.

18 Q. That's exactly right.

19 A. That's correct.

20 Q. You agree with that?

21 A. I do.

22 Q. And so necessarily if the risk is reduced,
23 then the return on equity awarded by the Commission should
24 be reduced to reflect reduced risk?

25 A. I guess I'm trying to understand how the

1 two of those correlate. If I -- if the recommendation is
2 to put into the regulatory framework a tool that allows us
3 to recover our authorized return, I'm not sure how that
4 equates to the authorized return needing to be lower. All
5 we're suggesting is that we should have an ability to earn
6 the return, whatever it is, that the Commission deems
7 reasonable.

8 Q. Thank you. Now, if you know, has Ameren
9 had any -- I'm talking about Ameren Corporation now
10 because I don't know that this occurs at the Ameren
11 Missouri level, or maybe you can tell me if it does. Have
12 you had any trouble selling bonds?

13 A. We do sell bonds at the Ameren Missouri
14 level.

15 Q. Okay. Do you have any trouble selling
16 those?

17 A. Not recently.

18 Q. Not recently. Okay. And I know you don't
19 sell shares at the Ameren Missouri level, but --

20 A. That's correct.

21 Q. -- to your knowledge are sells of Ameren
22 Corporation trading?

23 A. Yes.

24 Q. People buy them?

25 A. Yes, even though they're trading below book

1 value at the moment.

2 Q. But they are trading?

3 A. Yes.

4 Q. People are buying them?

5 A. Yes.

6 Q. Okay. And are you familiar with the
7 testimony of David Murray in this case?

8 A. Not specifically.

9 Q. Okay. If I told you that David Murray has
10 testified that utility stocks in general are valued today
11 by investors in what he refers to as a flight to quality
12 phenomenon, would you have any reason to disagree with
13 that?

14 A. Not for utilities in general, but not all
15 utilities are created equal in the stock market.

16 Q. I understand. Is that a yes or no?

17 A. I guess that's a yes. I'm not directly
18 familiar with his testimony.

19 Q. Okay. But you have no reason to disagree
20 with that?

21 A. I guess not.

22 Q. Okay. Thank you. Have you testified in
23 previous rate cases on behalf of Ameren Missouri?

24 A. Yes.

25 Q. And in preparing your testimony for any of

1 **those cases, including this one, have you ever had**
2 **occasion to go back to prior testimony?**

3 A. Yes.

4 **Q. Have you ever used that prior testimony as**
5 **a template?**

6 A. If the issues are similar, yes.

7 MR. THOMPSON: Okay. Thank you. No
8 further questions.

9 JUDGE WOODRUFF: Okay. We'll come up for
10 questions from the Bench. Mr. Chairman.

11 CHAIRMAN GUNN: I have a couple. Thanks.

12 QUESTIONS BY CHAIRMAN GUNN:

13 **Q. I'd like you to very simply and**
14 **specifically tell me what the problem is that you're**
15 **trying to solve.**

16 A. Okay. I can do that. And this chart
17 actually is very helpful for that. I believe the way the
18 current regulatory framework is designed is that it takes
19 into consideration what the carrying costs or the
20 borrowing costs are during construction period. We've
21 talked about AFUDC quite a bit this morning. So during
22 the construction period there is a provision for recovery
23 of the costs to either borrow the money or, if it's equity
24 that we're utilizing, to utilize the cash that's required
25 to make that, to fund that investment. And likewise, once

1 an asset is placed in service and put into rate base, the
2 assumption is that we will recover the return as well as
3 depreciation on that investment at that point in time.

4 Unfortunately, the ratemaking process
5 leaves a gap in the middle. So there's a period of time
6 where the investment is placed in service, customers are
7 benefiting from that investment, but they're not paying
8 for it. It essentially never gets recovered. And so as a
9 result, a customer never pays 100 percent of the costs
10 that were invested by the company in order to make that
11 improvement.

12 **Q. The difference is the borrowing cost,**
13 **carrying cost?**

14 A. And the depreciation. So actual cost of
15 the asset is reduced, the book value of the asset.

16 **Q. So tell me, in this particular case, if we**
17 **were to grant plant in service accounting, what's the rate**
18 **impact?**

19 A. If we had had -- what I have in my
20 surrebuttal testimony is if we had had plant in service
21 accounting during the period of time between the last rate
22 case and this one, the impact to customers for that would
23 have been less than a penny a day in rates. It's a
24 \$6 million revenue requirement. It was a \$37 million
25 impact to the change in rate base.

1 **Q. But if we were to grant that, it would not**
2 **show up until the next rate case; is that correct?**

3 A. That's correct. What we're proposing is
4 that we would defer the costs for any assets that are
5 placed in service. In this case, because the true-up was
6 July 31st, any assets that are placed in service from
7 August on to whenever the next rate case is, we would
8 defer the depreciation and a return, and that amount then
9 would be considered to be included in rate base in a
10 subsequent case, and that's when the rates would be
11 affected.

12 **Q. And you believe this is a -- this is a**
13 **substantial reason why you guys are not earning your**
14 **authorized ROE?**

15 A. Based on some analysis I've done, it is.
16 It's not the only reason, but it is clearly a major
17 contributor.

18 **Q. Mr. Baxter was a little less enthusiastic**
19 **about this being a major contributor to the difference**
20 **between what you were earning and what your ROE was**
21 **earning when I asked him about that. But you believe this**
22 **is a major contributor?**

23 A. I do.

24 **Q. So if we grant this, then -- and this is**
25 **kind of going to Mr. Thompson's question -- you don't see**

1 any correlation between the company being able to now
2 recover, I guess, this \$37 million now?

3 A. Uh-huh.

4 Q. The company now can recover and gets to
5 recover because they get to put it in a -- I guess it's a
6 regulatory asset --

7 A. Uh-huh.

8 Q. -- \$37 million. You don't see any
9 correlation between the company's risk then being reduced?

10 A. The risk that is being reduced is our risk
11 of not being able to earn our allowed return. To me,
12 implementing plant in service accounting just provides us
13 with an opportunity to be able to actually earn the
14 authorized return that you deem reasonable.

15 Q. This is only one part of that?

16 A. That's right.

17 Q. And you have -- you haven't done it before,
18 you haven't gotten this revenue before. So this is
19 brand-new revenue that you're going to be able to collect?

20 A. That's right.

21 Q. Essentially a new source of revenue for
22 you?

23 A. But what we're seeing is that our
24 infrastructure is needing to be replaced over time, and in
25 order to build the regulatory framework in a way that

1 facilitates the ability to systemically replace that
2 infrastructure, we believe that that additional revenue is
3 necessary.

4 Q. Now, this only goes -- only goes one way,
5 right? So this deferral is -- all these investment costs
6 and going forward. Previously growth had, according to
7 your testimony, had balanced out this non-recovery. So if
8 growth picks up again and we see substantial increases in
9 growth, then would you be willing to not have plant in
10 service accounting?

11 A. Well, this is a regulatory framework that,
12 you know, just like any other regulatory tracker or
13 anything else that the Commission allows us to have. When
14 we come in for a subsequent rate case, the Commission has
15 to ability to take it away if they think it's not working
16 the way it's meant to or if we're in situations where
17 we're now consistently overearning.

18 Q. That really wasn't my question. My
19 question was whether or not you'd be willing to go back to
20 the normal way we've been doing things if we see
21 substantial periods of growth?

22 A. I guess so, yeah. I mean, we're not trying
23 to overearn here. We're just trying to earn our
24 authorized return.

25 Q. I understand. Now, in the opening

1 statements, Mr. Byrne explained how since this -- other
2 states have taken other -- other ways of trying to deal
3 with this issue.

4 A. Uh-huh.

5 Q. Our Legislature haven't authorized to do
6 any of those, have they?

7 A. Not at this time.

8 Q. So would -- we wouldn't be legislating from
9 the bench and fundamentally altering the regulatory
10 framework now by doing this?

11 A. Well, I'm not as familiar with the whole
12 legislative regulatory and where the boundaries are.
13 My --

14 Q. But we've been specifically prohibited from
15 using some of the tools that you requested in order to fix
16 this problem.

17 A. That's correct. We don't believe this is
18 one that you're legislatively prohibited from
19 implementing, however.

20 Q. Why?

21 A. I guess because it's a deferral mechanism,
22 similar to the trackers that you've implemented. You've
23 also previously implemented a form of this through the
24 construction accounting process for specific projects.

25 Q. But this is new, right? This is brand-new.

1 **We don't -- I mean, as you talked about, this hasn't been**
2 **adopted anywhere else in any other state?**

3 A. Uh-huh.

4 Q. **It's never been tested in this case?**

5 A. Uh-huh.

6 Q. **It is meant to fix a problem that your**
7 **lawyer specifically said other folks use other specific**
8 **legislative mechanisms in order to fix?**

9 A. That's true. Every state's different.
10 Again, I don't know all of the laws and all the regulation
11 in all of the other states. My understanding is that this
12 is something that's within your purview as Commissioners
13 to be able to implement without having a legislative --

14 Q. **And --**

15 A. -- action.

16 Q. **And I'm asking you for your basis of that**
17 **belief.**

18 A. Well, advice of counsel because they know
19 the law better than I do.

20 Q. **Fair enough.**

21 A. But second of all, I guess as I think about
22 what has been legislated in this state versus what has
23 not, things like the FAC where it's an automatic mechanism
24 to change rates is something that was legislated. This is
25 not an automatic change in rates. This is just deferring

1 costs until a subsequent rate case whereby the decision is
2 made by this Commission to determine whether that recovery
3 happens or doesn't.

4 Q. But other specific deferral mechanisms have
5 been prohibited?

6 A. I'm not sure I know what you mean.

7 Q. CWIP?

8 A. That's because it was specifically
9 legislated.

10 Q. Right. Specifically prohibited?

11 A. Uh-huh.

12 CHAIRMAN GUNN: All right. Thank you. I
13 don't have anything further.

14 JUDGE WOODRUFF: Commissioner Jarrett.

15 COMMISSIONER JARRETT: Yes.

16 QUESTIONS BY COMMISSIONER JARRETT:

17 Q. Good morning, Ms. Barnes.

18 A. Good morning.

19 Q. I wanted to ask you, during the opening
20 statements, I believe it was Mr. Downey, maybe it was
21 Mr. Mills also, that talked about extraordinary
22 circumstances --

23 A. Uh-huh.

24 Q. -- sort of being the standard we should
25 consider in whether we -- when we're looking at this plant

1 in service accounting.

2 A. Right.

3 Q. I guess first of all, the company's
4 position is that the chronic underachieving of earning the
5 allowed ROE is an extraordinary circumstance?

6 A. That's correct. I mean, that's become
7 reality.

8 Q. But you have this plant in service
9 accounting which you're testifying on, but the company's
10 also proposing a two-way storm tracker --

11 A. That's correct.

12 Q. -- which addresses the same issue. And I
13 believe in your conversation with Chairman Gunn, you
14 talked about this plant in service accounting being
15 similar to trackers. Could you explain that and expand
16 upon that? How are they similar?

17 A. Well, I think they're similar in the
18 standpoint that they're deferring a cost for future
19 recovery in a subsequent rate case. So the mere fact of
20 deferring the recovery at this point is not changing the
21 rates today, and that's similar to how trackers are
22 treated. There's no guarantee that we're going to recover
23 those costs, but there is an ability to have the
24 opportunity to do that in a subsequent rate case if we
25 have the tracker means to defer the costs on the balance

1 sheet in the interim period.

2 Q. And I know you're not a lawyer, but you've
3 testified in cases here before, correct?

4 A. Yes.

5 Q. And would it be safe to say that you have a
6 general understanding of what extraordinary circumstances
7 are?

8 A. Yes.

9 Q. Ameren Missouri currently has a pensions
10 and other post-employment benefits tracker; is that
11 correct?

12 A. Yes. That's correct.

13 Q. Do you consider those to be extraordinary
14 circumstances? Why were those granted?

15 A. No. You know, we're talking about capital
16 costs when we talk about plant in service accounting. For
17 O&M costs, which are storms and pension and OPEBs, I think
18 the criteria that we've typically used and I think that
19 the Commission has used is are those costs very
20 uncontrollable, are they volatile, unpredictable, and so
21 as a result, we track them so that we don't over-collect
22 or that we don't under-collect those costs in interim
23 periods between rate cases.

24 I think the pension and OPEB tracker was
25 implemented for that reason, because there are a lot of

1 external factors that impact those numbers. There's no
2 question that we have to offer pensions and benefits to
3 our employees and to our retirees. And so I think the
4 decision was made that because there's a lack of control
5 around those, that by tracking them no one's harmed. The
6 customer receives the benefit if those costs go down, but
7 we also are able to recover those costs if they go up in
8 between rate cases.

9 **Q. So do you see any correlation between the**
10 **pensions tracker and the vegetation management tracker and**
11 **the type of plant in service accounting that you're**
12 **looking at?**

13 A. I think the difference would be that this
14 one's not -- the plant in service accounting is not
15 something that's going to be volatile, or to Commissioner
16 Gunn's point, it's not two-way. If we make the
17 investment, there's going to be a depreciation expense and
18 there's going to be a return, and be very difficult for me
19 to think of a scenario where that would get refunded to a
20 customer.

21 So in that case, what we're requesting in
22 this mechanism is to be able to recover costs that
23 previously were not being recovered at all, not that it's
24 volatile or unpredictable or uncontrollable.

25 **Q. Well, and I know you're not a lawyer, and**

1 I'll ask this question. You can tell me you don't know.
2 Maybe this is something that should be briefed by the
3 lawyers. But is the extraordinary circumstances the
4 correct standard for us to consider when we're considering
5 the plant in service accounting or is it the just and
6 reasonable standard?

7 A. Yeah. That's a legal question. I guess I
8 don't know.

9 Q. I'll ask the lawyer. I'll have the judge
10 ask the lawyers to brief that then.

11 A. Thank you.

12 Q. You were here also -- I'll tell you in
13 advance, I'm going to put you a little bit on the spot.

14 A. All right.

15 Q. Hopefully it won't be too uncomfortable.
16 In Mr. Byrne's opening statement, you were here?

17 A. Uh-huh.

18 Q. And you heard him talking. And I don't
19 know. Were you here when Mr. Lowery gave the opening
20 statement?

21 A. I was not here last week.

22 Q. Okay. Well, I think -- they said some
23 similar things, I think, but one of the things that
24 Mr. Byrne talked about today was admittedly this is an out
25 of the box type of consideration.

1 A. Uh-huh. It's different for Missouri,
2 that's for sure.

3 Q. And one of the main reasons that Mr. Byrne
4 said in his opening statement was because you-all have
5 come in for rate cases almost every year.

6 A. Uh-huh.

7 Q. The other companies in Missouri are coming
8 in for rate cases every year.

9 A. Uh-huh.

10 Q. And this is a way to limit the number of
11 rate cases. And if Mr. Byrne disagrees that he said
12 that --

13 MR. BYRNE: I don't. I don't disagree.

14 BY COMMISSIONER JARRETT:

15 Q. Ameren Missouri's position is if we give
16 them this plant in service accounting, the two-way storm
17 tracker, that they're unlikely to come in for a rate case
18 for another two or three years?

19 A. I certainly can't commit the company
20 because I don't get to unilaterally make that decision,
21 frankly, but I can tell you that if you've looked at the
22 rate cases that we have filed recently, and this year is
23 no exception, a major portion of the increase has been
24 related to capital investments that we have made in those
25 interim periods between rate cases.

1 And if we have an ability to recover those
2 lost costs in that donut hole, as Mr. Thompson mentioned,
3 in the red area here, it would certainly be a mitigation
4 to allow us perhaps to be able to stay out longer than
5 we've currently been able to and still be able to make the
6 investments that we believe are needed in the system.

7 **Q. Now, would it be a major mitigation?**

8 A. Well, it's a factor. I mean, I think if
9 you look at this particular case, it's one of the major
10 increases -- portions of the increase in this case. Fuel
11 is another one, and the energy efficiency costs are
12 another big expenditure. But about \$80 million of our
13 request in this rate case was related to capital
14 investments that we've made just since last February when
15 the last true-up period took place in February of 2011.

16 **Q. And again, maybe this is something that the**
17 **attorneys could or should brief at the end of the case,**
18 **but it seems to me if we're being asked to do something**
19 **fairly extraordinary, never been done in Missouri, that it**
20 **should change the behavior of the company as far as rate**
21 **case filings, because if that really does work and cut the**
22 **regulatory lag problem, then shouldn't we expect that**
23 **there will be less rate cases filed?**

24 A. We would certainly make every effort
25 because this is a cost and a time consideration for us as

1 well.

2 Q. All right. Well, I hope I didn't put you
3 on the spot too much, Ms. Barnes. Thank you very much.

4 COMMISSIONER JARRETT: No more questions.

5 JUDGE WOODRUFF: Commissioner Kenney.

6 QUESTIONS BY COMMISSIONER KENNEY:

7 Q. Ms. Barnes, how are you?

8 A. I'm good. How are you?

9 Q. I'm doing well. Thanks. Glad to be here.

10 So I have a few quest--

11 A. Me, too.

12 Q. Really?

13 A. Oh, sure.

14 Q. Okay. I have a few questions that are
15 probably going to be redundant, but I'm not clear. So I'm
16 going to ask some predicate questions. The ROE that a
17 company earns, generally speaking, is supposed to reflect
18 the return that investors would expect if they were
19 investing in another enterprise of similar risk?

20 A. That's as I understand it. I'm not an ROE
21 expert.

22 Q. Similar to business risk?

23 A. Uh-huh.

24 Q. And the other trackers that we've allowed
25 and the FAC and the availability of environmental cost

1 recovery mechanism, you haven't taken advantage of it but
2 it exists, the rating agencies will cite those as creating
3 a favorable regulatory environment, correct?

4 A. Yes.

5 Q. And typically they will view that as being
6 credit supportive?

7 A. Yes.

8 Q. Which reduces the company's business risk?

9 A. That's right. I think in the context of
10 how we think about ROE, should our authorized ROE be
11 average or should it be higher than average because of the
12 level of risk or regulatory treatment, and those are the
13 considerations I think that they look at compared to other
14 companies.

15 Q. And so if those trackers and other
16 mechanisms are favorable in reducing the company's
17 business risk and create a credit supportive environment,
18 then shouldn't the ROE be lowered to reflect the decrease
19 in the business risk?

20 A. I guess the question is lower than what?

21 Q. Lower than what it is. And I -- lower than
22 10.2.

23 A. Well, I guess it depends on what your
24 opinion is about whether the 10.2 is an adequate return or
25 if it's an above average return, and if it's an above

1 average return and you believe that these things require
2 that the ROE be recorded or be authorized at average, then
3 I would agree with that statement.

4 Q. What's your opinion regarding the current
5 authorized ROE as set in the last rate case? Is it
6 average, above average, below average?

7 A. Again, I'm not an ROE expert, but my
8 understanding is that it's about average when compared to
9 other utilities across the country.

10 Q. So it's about average as compared to other
11 utilities. Okay. I know you're not an ROE expert, but
12 you've worked as the comptroller of the company, I mean,
13 so you have some understanding of the finances of the
14 company?

15 A. Yeah, a little bit.

16 Q. Probably more than a little bit, right? I
17 want to ask you about -- it's a document that was prepared
18 by Gary Weiss, but I want to ask you about it anyway.
19 Does anybody have a copy of Staff Exhibit 232? It was
20 Ameren Missouri's response to Staff's motion to declassify
21 a portion of Cassidy's surrebuttal.

22 MR. THOMPSON: I left mine upstairs. I'm
23 sorry.

24 MR. DOWNEY: You want 237.

25 COMMISSIONER KENNEY: 237, yeah. Seven

1 looked like a two. Sorry. Is that it?

2 MR. DOWNEY: Yes.

3 BY COMMISSIONER KENNEY:

4 Q. Okay. If you look at page 2 -- well, it's
5 not actually page 2, but it has page 2 on it.

6 A. Yes.

7 Q. It's a highly confidential component. Can
8 I see that? Do you have the same thing I have?

9 A. (Indicating.)

10 Q. Yeah. That's it.

11 A. Okay.

12 Q. And this is not highly confidential, right?

13 MR. THOMPSON: That's right.

14 THE WITNESS: That's correct.

15 BY COMMISSIONER KENNEY:

16 Q. I want to refer to the actual earned return
17 on equity. First of all, this document refers to 12
18 months ended June 30th, 2012?

19 A. Yes. That's correct.

20 Q. Have you seen this document before today?

21 A. Yes. I mean, I review the surveillance
22 reports, so I have seen this.

23 Q. So you're familiar with the contents of
24 this document?

25 A. Yes.

1 Q. You review the surveillance reports before
2 they're provided to the Commission?

3 A. Yes.

4 Q. Okay. And you would have reviewed this
5 specific surveillance report before it was provided to the
6 Commission?

7 A. Yes.

8 Q. So you're competent to testify about its
9 contents?

10 A. I don't prepare it, but I review it.

11 Q. What do you review it for, accuracy?

12 A. I look at it to make sure I understand
13 where all the numbers are coming from, and there's other
14 parts of this report that have notes, and I take a look at
15 the notes and make sure those are correct.

16 Q. So you review it for correctness, and you
17 review it to make sure you understand it before it goes
18 out?

19 A. Generally, yes.

20 Q. And if you didn't understand it, you
21 wouldn't let it go out?

22 A. That's right. I would ask questions first.

23 Q. Well, then let me understand, then, the
24 common equity, because Mr. Weiss was very kind in trying
25 to help me mathematically understand how he arrived at

1 these numbers, but I was not a mathematician or an
2 accountant, so I'm a little obtuse. Maybe you can help me
3 understand.

4 A. Okay.

5 Q. The 10.53 common equity for the 12-month
6 period ending June 30th, 2012, how was that figure arrived
7 at? Well, and that's above the 10.2 that we authorized,
8 right?

9 A. That's correct.

10 Q. So how does this figure square with the
11 notion that the company is in a situation where it's
12 chronically under-earning and unable to reach its ROE?
13 Because that's essentially the predicate for why you want
14 this plant in service accounting, at least one reason you
15 want it is because there's a chronic inability to reach
16 your ROE. So how does this 10.53 for a 12-month period
17 ending June 30, 2012 square with that notion?

18 A. Well, I think as I understand the premise
19 of the regulatory process, we're given an authorized
20 return, and at any point in time if you look at it on a
21 month-by-month basis, and every month you're looking at a
22 rolling 12-month average, so on a month-by-month basis, as
23 long as we are somewhere in the neighborhood of our
24 authorized return, there's going to be some periods where
25 you're going to overearn, there's going to be some periods

1 where you under-earn, but over time if you look at that
2 change over those periods of time, the overearn and
3 under-earn ought to get you at a point that on average
4 over those periods you're not consistently overearning or
5 you're not consistently under-earning.

6 So what I would characterize this as, you
7 know, we had a lot of weather in the month of June, which
8 probably contributed to for this 12-month period having an
9 overearning situation. I'm not sure having an overearning
10 situation in one period necessarily suggests that we are
11 overearning our return on a consistent basis.

12 **Q. I certainly wouldn't suggest that. But it**
13 **does belie the notion that you're under-earning on a**
14 **chronic basis, right?**

15 **A.** Well, depends on what you mean by chronic.
16 I mean, if this is one period out of eight and every other
17 period we were under-earning and this one we were over,
18 then I'm not sure I would call this a chronic overearning
19 situation.

20 **Q. I'm not calling it a chronic overearning**
21 **situation. I think that would be incorrect. But I mean**
22 **if you have a period in which you are achieving above your**
23 **ROE, isn't it by definition not chronic under-earning?**

24 **A.** I think what is important to think about
25 here and the way I think about it financially is looking

1 at trends. So I would need to take this number in
2 consideration with numbers subsequent to that and numbers
3 before that and say where does this fall on the continuum?
4 Is this a trend so that we are trending to be consistently
5 overearning, or is this an outlier and it's one position
6 or is it part of a trend that suggests that we're
7 under-earning.

8 So I'd have to look at it in the
9 perspective, a broader perspective than just saying here's
10 one period and one point in time where it appears that we
11 have overearned what our authorized return was.

12 Q. And you would have reviewed this, I think
13 you said, before it was provided?

14 A. Uh-huh.

15 Q. Did that figure cause you to ask those
16 questions?

17 A. Because I review these every month or every
18 time they're prepared, I guess I have a little bit of a
19 sense that -- and again, knowing that June was a
20 particularly warm weather month, that I wasn't surprised
21 necessarily that we would end up in a situation where this
22 would be over. But again, I put it in perspective of the
23 other months before it and the months that have occurred
24 since.

25 Q. And when this refers to a 12-month period

1 ending June 30th, 2012, is that figure the average for the
2 12 months leading up to June 30th or is that reflecting
3 one month?

4 A. No. It's the average, because it's
5 looking -- the way ROE is calculated is looking at
6 earnings over a long period of time. It would be looking
7 at 12 months of earnings. So it would take into
8 consideration any weather last summer, July. It would
9 start from July of 2011 through June of 2012. So it's
10 covering the hot summer from July and August incorporated
11 in those numbers as well as any weather events that we
12 would have had earlier this year.

13 Q. So if you average that 12-month period out,
14 taking into account the months of hot weather but also in
15 there are winter months --

16 A. That's right.

17 Q. -- and other not hot weather months?

18 A. That's correct.

19 Q. The average gets you above 10.2. So
20 there's some months where it was much higher, some months
21 where it's much lower --

22 A. Uh-huh.

23 Q. -- for the 12-month period?

24 So you're not looking at a finite one
25 month; you're looking at a 12-month average?

1 A. That's correct.

2 Q. And this number, as you understand it, is
3 there any difference between how this 10.53 is calculated
4 for purposes of surveillance reports versus the chart
5 that's reflected in Mr. Baxter's testimony?

6 A. I don't recall exactly how Mr. Baxter's
7 charts are prepared, but I do know that we traditionally,
8 in the way the external investors look at it is they're
9 looking at a holistic basis, so they're looking at our
10 entire company, which would include our gas operations as
11 well as things that are not recoverable in the regulatory
12 space in addition. Where this report is only looking at
13 electric operations, so that would be a subset of the
14 broader view.

15 Q. Is this a report or at least a document,
16 the contents of this report maybe in some other format,
17 would this be something investors would have available to
18 them to review?

19 A. To the extent this it's filed out on EFIS
20 and that they have access to your website, then I think it
21 is available to them.

22 Q. Would the contents of this document show up
23 in an SEC report, a quarterly report?

24 A. Not in this form.

25 Q. Not in this form?

1 A. No.

2 Q. But could the contents in some other form?

3 A. No, because we wouldn't isolate the
4 electric business from the gas business in those external
5 SEC documents necessarily.

6 Q. Would an analyst isolate the electric
7 operations from the holding company in analyzing your
8 creditworthiness?

9 A. You know, I can't speak for them in how
10 they do their analysis. If I were them, I guess I would
11 attempt to. I'm not sure there's enough public
12 information available for them to do that. They would
13 have to be making some assumptions to make that call.

14 Q. Okay. So back to my original question, the
15 plant in service accounting is something that in your
16 opinion would or would not reduce Ameren's business risk?

17 A. It would reduce our -- it would reduce our
18 disincentive to make investments, and it would provide us
19 the opportunity to get closer to our authorized return,
20 but I don't believe that it directly correlates to what
21 you choose that return to be.

22 Q. Putting aside the ROE, I'm just talking
23 focusing on business risk, it reduces the risk that you're
24 not going to recover \$37 million under the example that
25 you've used, correct?

1 A. Well, certainly it at least gives us the
2 opportunity to recover that \$37 million, which we don't
3 have that opportunity today.

4 Q. So your risk of not recovering that
5 \$37 million is reduced?

6 A. That's correct.

7 Q. So is your business risk then reduced by
8 the possibility of having this plant in service?

9 A. Yeah. It certainly gives us, I guess, the
10 opportunity to -- if we assume that we're going to recover
11 it, which we would assume that if we had plant in service
12 mechanism, then we would be able to then make decisions
13 differently based on that assumption.

14 Q. Do you have any thought or opinion about
15 how a rating agency would view the availability of such a
16 mechanism?

17 A. I think it would be similar to how they
18 view the FAC and the other trackers, that they would see
19 that as promoting a more favorable regulatory environment
20 in Missouri.

21 Q. Well, you've been very helpful. Thanks for
22 your patience in answering my questions.

23 A. You're welcome. It's my pleasure.

24 JUDGE WOODRUFF: Commissioner Stoll?

25 COMMISSIONER STOLL: No questions, your

1 Honor.

2 FURTHER QUESTIONS BY CHAIRMAN GUNN:

3 Q. Can I follow up on a couple of those
4 questions? Because I've been confused about this sheet as
5 well.

6 A. Okay.

7 Q. Because Mr. Baxter said that there were
8 things taken out of this, and he called it actually an
9 adjusted -- an adjusted figure.

10 A. Adjusted because it took out things that I
11 believe, if I understand correctly, that you-all have
12 allowed us not to recover, so Taum Sauk.

13 Q. Allowed you not to recover?

14 A. Well, disallowed, whatever term you want to
15 use.

16 Q. But the title is actual -- actual earned
17 return on equity. So it's an adjusted figure, but you
18 call it your actual earned return on equity?

19 A. From a comparability perspective for your
20 view, because these are prepared for the Commission, these
21 are trying to give you as best, I believe, an apples to
22 apples comparison of what did we actually earn versus what
23 you authorized us to earn.

24 Q. So if you put those -- well, if we hadn't
25 disallowed those figures, this 10.5 would be substantially

1 higher?

2 A. I don't know about substantially. We'd
3 have to look at the math. It would be different.

4 Q. Would it be higher?

5 A. Most likely. I don't know what all got
6 adjusted in and out of here to for sure make that
7 determination.

8 Q. Well, if we -- if you got to recover
9 dollars that we didn't allow you to recover, wouldn't that
10 by necessity mean that you earned more?

11 A. Conceivably. Like I said, I don't know
12 what else might have been pulled out of here.

13 Q. Would you conceivably pull dollars that you
14 were allowed to earn out of this number?

15 A. No, but there could have been refunds or
16 some other revenue piece that also wasn't included, for
17 example, the Entergy refund, or I don't recall if these
18 are weather normalized.

19 Q. And in order for this number to be 10.53,
20 that means that you had to have earned substantially in
21 those hot weather months, you'd have to -- your ROE would
22 have been substantially higher than that?

23 A. For that one month you mean, for those hot
24 weather months?

25 Q. For those hot weather months, in order to

1 **offset -- offset substan-- or lower winter months?**

2 A. Well, if you take a look at just our
3 financials, you know, our costs generally are pretty
4 fixed, and so we spend about the same amount of money
5 every month, but our revenues can vary dramatically
6 depending on the weather. So that's right. So for the
7 summer, if we had a really hot summer month, then our net
8 income for that month is going to be a lot different than,
9 say, a winter month where we incurred the same amount of
10 costs but we have less revenues.

11 **Q. Right. But this isn't a month -- this**
12 **isn't a month period?**

13 A. That's right.

14 **Q. This is a 12-month period?**

15 A. That's right.

16 **Q. So you've taken into account those peaks**
17 **and valleys?**

18 A. That's right.

19 **Q. So by necessity, on several of those months**
20 **you would have had to have earned, maybe not**
21 **substantially, but you would have had to earn over**
22 **10.53 percent in some of those individual months?**

23 A. And equally we'd have substantially
24 under-recovered on the other months.

25 **Q. No. Absolutely. But I just want to make**

1 **sure. But even taking those months in which you've**
2 **under-recovered, the 12-month average is still 30 basis**
3 **points higher than your authorized ROE?**

4 A. For this one period of time.

5 Q. **For this year period of time?**

6 A. For this one year period of time, that's
7 right. Like I said, I would be looking for trends, and so
8 I would have to look at this one data point and compare it
9 to other data points because we do this every month for
10 rolling 12-month periods.

11 Q. **And I would agree with you except for the**
12 **fact that you have had an intervening rate case here.**
13 **We're not talking about a five-year period where you**
14 **haven't gotten a rate increase. You've gotten a rate**
15 **increase. When did the last one go into effect?**

16 A. August of 2011.

17 Q. **So a big portion of this is under the rate**
18 **structure that we authorized, the rate increase that we**
19 **authorized the last time?**

20 A. That's right. But I would want to compare
21 this to what did the May number look like, what did the
22 April number look like, what did the August number look
23 like to put this into perspective.

24 Q. **Absolutely. But you were able to do that**
25 **despite not having plant in service accounting?**

1 A. For that one point in time, that's correct.

2 Q. For the last year? I mean, I just want to
3 be clear, because you keep saying that this is one point
4 in time. Well, the one point in time is a 12-month period
5 of time, it is a full year, correct?

6 A. That's right, but --

7 Q. So over the hundred years of companies, it
8 is one data point on a hundred?

9 A. Uh-huh.

10 Q. But you started not earning your ROE,
11 according to this -- to one of these charts, in 2007?

12 A. Uh-huh.

13 Q. So since 2007, during this five-year
14 period, one 12-month period along that much smaller number
15 period of time, you have earned -- you have over-earned
16 30 basis points from your authorized ROE?

17 A. I think the way to look at it, and I have
18 to recall the testimony, but I believe if you look at that
19 five-year period of time, that 60-month period, I think
20 there were maybe five or six or seven times out of that
21 60-month period that this situation exists where we are
22 earning higher than whatever the authorized return was for
23 that period.

24 Q. So 12 out of those 60 months, an average,
25 you've earned higher, the last 12 more importantly?

1 A. No, because all of those periods are
2 12-month periods.

3 Q. The last 12 months, the average of the last
4 12-month period of time over the last 60 months you've
5 earned 10.53, correct, according to this?

6 A. Well, this is June. Like I said, I don't
7 know what July, August. Now we're October 1st. We'll be
8 looking at September.

9 Q. Right. So we don't know what we've done
10 ongoing?

11 A. Uh-huh.

12 Q. All right. And that's -- that's what I'm
13 continually confused about, because we hear -- you talked
14 about how you see -- you see months where you've earned
15 more than the ROE and you've seen months where you've not.
16 The chart that Mr. Baxter provided show that there were no
17 months over the past 12 months that you earned over your
18 authorized ROE, and that is -- now, they said it was
19 weather normalized.

20 A. Uh-huh.

21 Q. But what I don't understand is why when
22 you're -- when you're taking that 12-month average, you're
23 taking -- as you said, you're going to see the peaks and
24 valleys based on weather. That's one of the reasons why
25 you have average it over 12 months, right?

1 A. But you can have multiple months in that
2 12-month period that have weather, and that's what I think
3 we see with this particular period. Again, your 10.2 is
4 based on weather normalized and all kinds of other
5 normalizations. So to take that and compare it to raw,
6 you know, whatever happened, and we can adjust them. I
7 believe what Mr. Baxter's charts attempt to do is try to
8 normalize as much as possible to get to an apples to
9 apples on the 10.2 versus what we really earned, and
10 that's where --

11 **Q. His chart with all that apples to apples**
12 **comparison showed that you didn't come close to earning a**
13 **10.2 ROE in any single month.**

14 A. Okay.

15 **Q. This piece of paper says that in the last**
16 **12 months, taking those averages, you've earned 10.53,**
17 **which means that you have in certain months had to have**
18 **earned even higher than 10.53 in certain months?**

19 A. That's correct.

20 **Q. All right. So I don't get how those are --**
21 **how this apple compares to that apple.**

22 A. I think this one has weather in it and his
23 didn't is one big apple, but I'm not sure what other
24 differences there are between the two.

25 **Q. This is actual?**

1 A. Yes, it is.

2 Q. All right. They just -- and look, this
3 might be my total lack of understanding, but I don't see
4 how these two charts can be reconciled. They are saying
5 fundamental different things. That one said the company
6 did not earn anywhere close to its authorized ROE. This
7 chart, this piece of paper says, oh, no, wait a minute, we
8 did in certain months. And this one actually is taking
9 into account the differences in what -- the different
10 earning cycles that you talked about month to month to
11 month, where you will earn more in a hot month than you
12 will in a cold month.

13 A. Uh-huh. I didn't prepare his charts. I
14 would have to go back and look at those and see what the
15 true differences are. I understand this report, and I
16 don't -- I didn't do his charts, so --

17 Q. And I think that's a -- that's a fair
18 point. But when you hear the argument, and it's
19 Commissioner Kenney's point, that this, the plant not
20 having plant in service accounting and other regulatory
21 frameworks that we have here in the state of Missouri or
22 the other things that we don't have in the state of
23 Missouri to allow you a greater return creates a chronic
24 inability to earn your authorized ROE. And yet I have a
25 piece of paper here that tells me that for the months

1 ended June 30th, 2012, the actual earned return on equity
2 has been 10.5, which averages out month by month a
3 12-month period of time.

4 A. I think the way I would think about it, I
5 mean, you had it right earlier this morning when you were
6 asking questions I believe of Mr. Thompson about policy
7 and thinking about this on a more longer term systemic
8 basis. As he pointed out, as Mr. Byrne has pointed out,
9 times have changed, and the way that we implemented
10 regulatory policy 20, 30 years ago may not be the same way
11 we need to implement it in the future.

12 So I think there's a longer term, broader
13 perspective around this plant in service accounting
14 premise than just for this one point in time whether or
15 not we've earned or over-earned. It's thinking more
16 broadly around what is the future requirement of the
17 company. And I think we're in a position where we have
18 assets that are 40, 50 years old that are going to need to
19 be replaced, and we will not have the ability to do that
20 and continue to earn anywhere close to our authorized ROE
21 given the regulatory framework that's currently in place.

22 Q. But what -- from a policy standpoint, the
23 threshold question that we have to ask is whether or not
24 those policies actually do what you say that they are
25 doing.

1 A. Uh-huh.

2 Q. And I would expect that Mr. -- that if that
3 was the case, that Mr. Baxter's chart would be the norm,
4 and that there would be no way -- if it was structural,
5 all right, if it was institutional, I don't know that
6 there would be any way that you would be able to earn a
7 10.53 or in some cases having to earn higher than a
8 10.53 to get to that average in certain months, because
9 that tells me that it's not structural or institutional
10 because you have the ability to do it.

11 If it was structural or institutional, you
12 would never be able to do it, and you have been able to do
13 it. And people say, oh, well, that's because it was
14 really hot. Well, yeah, it gets really hot in the summer.

15 A. But not every summer.

16 Q. No, it doesn't, but it does get hot in the
17 summer and it gets cold in the winter.

18 A. Uh-huh.

19 Q. And that is part of what you're having to
20 deal with. But if this was structural or institutional,
21 then it wouldn't matter whether it got hot in the summer
22 because there wouldn't be -- you wouldn't be able to
23 recover costs. But you're being -- not only are you being
24 able to recover your costs fairly, but you're able to earn
25 higher than what we authorized the ROE in certain months,

1 and on a 12-year rolling average, you're 30 basis points
2 higher than your authorized ROE.

3 A. For one 12-month period.

4 Q. Okay, but it's during that -- a five-year
5 period --

6 A. Uh-huh.

7 Q. -- that's only in the last five years have
8 you not been able to hit your authorized ROE.

9 A. Because growth and demand in that five-year
10 period has leveled off or even been reduced.

11 Q. But if we're talking long-term, all right,
12 one year -- so previous to that five-year period of time
13 you're making money, you're hitting your authorized ROE,
14 and yes, there was a special regulatory plan that
15 recovered -- returned some of that money to the customers,
16 but yet you were in a -- in the wheelhouse there.

17 A. Uh-huh.

18 Q. So then we're now in a shorter time period,
19 a five-year period since 2007 that you have not been able
20 to recover your authorized ROE. But for 12 months during
21 that time, for 20 percent of the time you have been able
22 to recover it, because we've got a 12-month rolling
23 average that says you earned 10.53.

24 A. I guess the current concern that I have is
25 we could wait for time to pass and if the company's

1 predictions play out and so now we're here five years from
2 now, so now there's been a ten-year period where we for
3 all intents and purposes haven't earned our return, and in
4 the meantime we have operated our business under the
5 confines of the regulatory structure that we have and the
6 rates that you have given us to spend, the concern is that
7 this infrastructure improvement or this replacement will
8 just get delayed, and the impact to customers won't be
9 pennies or less than a penny a day. It will be much more
10 substantial than that in that future period.

11 Q. That is absolutely a fair point, and I --
12 when I was down at FRI I asked the question whether our
13 desire to constantly have least cost improvements will
14 actually cause rates to rise in the future, and I think
15 that's an absolutely fair point.

16 My point here today is, is that you're
17 asking us to look for trends, and you're saying that we
18 need to plan for the long term when we had a subsequent
19 rate case less than a year ago, during that -- or almost a
20 year ago. During that period of time, you've been able to
21 earn on the average higher than your ROE. So how do we
22 know that the structures that we put in place in the last
23 rate case, which included some trackers, hasn't solved
24 your problem?

25 A. Because for the other 11 periods that we've

1 looked at in this case, we've not become -- we've not been
2 30 basis points over our allowed ROE.

3 Q. But previous -- that was before the
4 subsequent rate case?

5 A. Well, then I would --

6 Q. Am I right on that? This -- this is for
7 the last -- the 12 months ending June 30th, right?

8 A. Uh-huh.

9 Q. So -- and June, July and August were pretty
10 hot where I was. So I'm assuming -- I could be wrong, but
11 I'm assuming that you weren't struggling during those
12 periods of time, that those ROEs are --

13 A. Uh-huh.

14 Q. -- not bad?

15 A. Weather was definitely a contributing
16 factor in those months, that's right.

17 Q. And it's going to help in December?

18 A. It depends on how weather plays out for the
19 rest of this year. The warm winter in the first quarter
20 negatively impacted the financials, and as we I think
21 indicated in our June external reports, frankly, with the
22 warm June, it really just got us back to even as far as
23 normal weather goes.

24 Q. You just made -- you just made my point,
25 right, which what you just made was my point was, is that

1 from year to year to year we don't know what's going to
2 happen with the weather, but we do know that last year,
3 the last 12 months, you made higher than your ROE, your
4 authorized ROE.

5 But what you're asking us to do is
6 fundamentally change the way that we handle accounting in
7 Missouri on an ongoing basis, and yet we have no basis to
8 say that what we did in the last rate case hasn't given
9 you enough resources, regulatory framework, whatever, in
10 order to earn your authorized ROE.

11 A. Well, I think what you're seeing is the
12 company behaving based on what we got from our regulatory
13 framework. I mean, if you're expecting that the company's
14 going to continue to spend what we believe is the right
15 level and continue to incur losses just so that we can
16 have a report that shows that we didn't manage our
17 business, I think that's kind of a different scenario.

18 I mean, we have scaled back our capital
19 expenditures over the last several years because of all
20 the rate decisions that have been made. We don't believe
21 that's a sustainable place to be going forward because we
22 have infrastructure that needs to be replaced.

23 Q. We have given you vegetation management
24 trackers. We have given you storm trackers. We have
25 given you -- in the last few years, we have given you a

1 lot of ways in order to not cut back on capital
2 expenditures, and we've granted rate increases and we've
3 done it on a pretty consistent basis. If you go to these
4 local public hearings, those people will tell you how much
5 their bill has gone up to the penny month by month by
6 month.

7 So I don't know that it's a fair point to
8 say that you have reduced your capital expenditures in the
9 system because of the -- of our non-constructive rate case
10 decisions, because if you look at what New York says, what
11 Wall Street says, even though I hate to do that, every
12 single one of those have said that our rate cases in the
13 past few years has been constructive, and that the
14 regulatory environment in Missouri as compared to, for
15 example, Illinois where now you have formula rates, is
16 much more constructive than it has been in the past.

17 So I don't buy -- I don't necessarily buy
18 the argument that -- and this kind of is a problem -- that
19 the regulatory framework in Missouri is so fundamentally
20 broken that we need to start fixing it this way. Maybe
21 it's the tone of the -- maybe it's just the general tone
22 of the argument where -- where Mr. Baxter got on the stand
23 and said it, and you're kind of saying it now, is that
24 this plant in service accounting fixes a huge part of the
25 problem.

1 A. Again, I think you have to take it in the
2 perspective while the regulators and the external
3 investors have indicated that we have had constructive
4 rate outcomes, at the end of the day, compared to the rest
5 of the country, I believe Missouri's regulatory framework
6 is still in the bottom 25 percent or even bottom
7 10 percent across the country of regulatory frameworks.

8 Q. And that --

9 A. I think there's still an opportunity there.

10 Q. But let's look at why. A big part of that
11 has nothing to do with our decisions. It has to do with
12 the fact that there's no future test year, that there's no
13 CWIP, that there aren't these other regulatory frameworks.
14 So it's not -- that are legislatively put. It doesn't
15 have anything to do with this Commission's decisions.

16 A. I agree with that, and all we're suggesting
17 is that this is a decision that you can make, that you
18 don't need legislative approval to make, that would help
19 mitigate the problem.

20 Q. But the problem that you are describing
21 doesn't seem, from what I can tell, to be that big of a
22 problem from our standpoint. What you're trying to
23 solve -- and I don't know that I -- \$80 million is a lot
24 of money. I don't know that capital expenditures in this
25 case is really that big when you look at the fuel and --

1 **fuel and MEEIA costs. I mean, what's the MEEIA cost?**

2 A. The MEEIA'S \$80 million, and the fuel's
3 about 100ish. So it's a substantial piece. It's
4 comparable, I would say, to those.

5 **Q. But there -- but they're -- they're normal**
6 **everyday capital expenditures?**

7 A. That's right, because we have an aging
8 infrastructure and we have compliance requirements that we
9 have to make. I mean, part of that investment was to put
10 into place the Maryland Heights Energy Center, for
11 example, which was to comply with the renewable energy
12 standard that we have to meet.

13 So, I mean, we're making capital
14 investments where we need to make them. We still have an
15 aging infrastructure that needs to be systemically
16 addressed, and we want to be able to do that over a longer
17 period of time and get those improvements in now when it's
18 inexpensive because right now interest rates are really
19 low.

20 **Q. Right.**

21 A. And also that it has the minimalest impact.
22 I mean, I can't make investments without impacting
23 customer rates. Unfortunately, it doesn't work that way.
24 But if I can do it where it has a less of an impact on
25 customer rates than what might happen if I wait, I would

1 much rather do it where it's a small increase, pennies per
2 day, than get to the point where we have to make the
3 investments and now it's going to be a very substantial
4 increase to customers and be more of a rate shock for
5 them. Whether that's five years from now, ten years from
6 now, I don't know when that will happen, but it will
7 happen.

8 Q. I'm going to stop now because I think it's
9 probably also appropriate for the ROE part of the
10 testimony that we can talk about it then. I appreciate
11 you putting up with me, and I appreciate your honest
12 answers. Thanks.

13 CHAIRMAN GUNN: I don't have anything else.

14 JUDGE WOODRUFF: Thank you. We've been
15 going for over two hours now, so we'll take a break now,
16 and we'll come back at 11 o'clock and continue with
17 recross based on questions from the bench.

18 (A BREAK WAS TAKEN.)

19 JUDGE WOODRUFF: We're back from the break.
20 Lynn Barnes is still on the stand, and we'll be moving to
21 recross based on questions from the bench, beginning with
22 MIEC.

23 RECROSS-EXAMINATION BY MR. DOWNEY:

24 Q. Ms. Barnes, I want to ask you a few
25 questions about Staff Exhibit 237.

1 A. Okay. I don't have it anymore, but that's
2 okay.

3 Q. One of us is going to be without it. So I
4 only have one copy. Let's see if we can handle the
5 questions without you seeing the copy.

6 A. Okay.

7 Q. The 12-month period under consideration in
8 Staff Exhibit 237, that's very close to the true-up period
9 under consideration by the Commission in this case, right?

10 A. Yes.

11 Q. Okay. And you're asking for over
12 150 million in increased revenue --

13 A. Yes.

14 Q. -- in this case?

15 A. Yes.

16 Q. And if that 150 million were granted and if
17 that had been part of this -- had been in the revenue
18 added to this 12-month period ending June of 2012, then
19 obviously the ROE would be even higher than is reported in
20 this exhibit, right?

21 A. Well, there are obviously some numbers that
22 are included in that 12 months ended June that are not
23 normal business.

24 Q. Okay. Just answer my question, though. If
25 you added additional revenue, let's say 150 million, the

1 **calculated ROE would actually be higher, right?**

2 A. I guess if you assume then that the weather
3 is going to stay hot and the other unusual things are
4 included in there, then just doing the math, that's
5 correct.

6 MR. DOWNEY: Thank you. I have nothing
7 further.

8 JUDGE WOODRUFF: Public Counsel?

9 MR. MILLS: Yes.

10 RE CROSS-EXAMINATION BY MR. MILLS:

11 **Q. Ms. Barnes, is it your testimony that the**
12 **company's situation of not being able to earn its**
13 **authorized return on equity is both extraordinary and**
14 **chronic?**

15 A. I have not used the term extraordinary.

16 **Q. Okay.**

17 A. I have used the term chronic.

18 **Q. Is it your testimony that it's not**
19 **extraordinary?**

20 A. Because we've been seeing this situation
21 over the last five years, I would say this isn't
22 extraordinary, and that's not what we're requesting in
23 this proposal.

24 **Q. Now, the infrastructure expenditures that**
25 **we've been talking about, I believe in response to**

1 **questions from the Bench, your testimony is that those are**
2 **not volatile --**

3 A. No.

4 Q. -- correct?

5 A. They're predictable.

6 Q. **And not volatile and they are not**
7 **unpredictable, correct?**

8 A. Uh-huh.

9 Q. **And they're also not out of the company's**
10 **control?**

11 A. Only to the extent that infrastructure
12 improvements need to be made. I mean, that's -- we can
13 control when we make expenditures as long as the system
14 doesn't fail before we get around to making them.

15 Q. **Within the parameters of providing safe and**
16 **adequate service, it's within your control when and how**
17 **you do these investments?**

18 A. That's right. And we will always try to
19 provide safe and adequate service. Our customers expect
20 more than that.

21 Q. **In response to -- you had some questions**
22 **from Commissioner Jarrett about the possibility of the**
23 **company not seeking another rate increase for two or three**
24 **years. Do you recall those questions?**

25 A. I do.

1 Q. You said some pretty encouraging things in
2 response to those questions. Was it your intention to
3 suggest that there is a real possibility that if the
4 company gets plant in service accounting in this case,
5 that you may not file for two or three years after
6 January 1, 2013 when rates go into effect in this case?

7 A. There's a lot of considerations that go in
8 to making decisions around when to file rate cases, and
9 certainly having better regulatory treatment around our
10 infrastructure investments is one of those decisions. I
11 also said that I'm not the decision-maker on when we file
12 rate cases. All I'm saying is that would definitely be a
13 factor that would allow us to consider, but I can't commit
14 us to when we would or wouldn't file another rate case.

15 Q. And I believe one of the Commissioners
16 noted that there is at least some disparity between the
17 way that you and the way that Mr. Baxter characterize the
18 plant in service accounting mechanism. Do you recall
19 that?

20 A. Yes. I wasn't here for Mr. Baxter's
21 testimony.

22 Q. So when you say that plant in service
23 accounting would be a consideration that could lead the
24 company to decide to stay out for two or three years, how
25 significant a consideration is that?

1 MR. BYRNE: I'm going to object. The
2 question misstates her testimony. She did not say it
3 could lead the company to stay out for two or three years.

4 MR. MILLS: The question was premised on
5 the notion of the company staying out for two or three
6 year, and she testified that the plant in service
7 accounting would be a consideration in making that
8 determination, and so I'm asking how significant a
9 consideration that would be.

10 THE WITNESS: I can't answer that, not
11 knowing what else -- I'm sorry.

12 JUDGE WOODRUFF: I'll overrule the
13 objection, and now you can give your answer.

14 THE WITNESS: Without knowing all the other
15 factors that go into making decisions about rate cases, I
16 can't speak to how big of a deal this would be or not be
17 on when we would file next.

18 BY MR. MILLS:

19 Q. Have you seen business plans of the company
20 that talk about the next rate case and when it might be
21 filed?

22 A. We -- I've seen -- yes. That's part of my
23 job is to prepare those.

24 Q. And when do those show that the next rate
25 case is likely to be filed?

1 MR. BYRNE: Your Honor, I believe this is
2 probably highly confidential information, so -- well, let
3 me ask Ms. Barnes. If it's highly confidential
4 information, we would need to go in-camera.

5 THE WITNESS: I think we should.

6 JUDGE WOODRUFF: Do you wish to pursue it?

7 MR. MILLS: I do.

8 JUDGE WOODRUFF: We'll go in-camera then,
9 and if there's anyone in the audience who needs to leave,
10 please do so.

11 (REPORTER'S NOTE: At this point an
12 in-camera session was held, which is contained in
13 Volume 20, pages 661 through 664 of the transcript.)
14
15
16
17
18
19
20
21
22
23
24
25

1 JUDGE WOODRUFF: And we're back in regular
2 session.

3 BY MR. MILLS:

4 Q. Ms. Barnes, you were asked by Commissioner
5 Kenney about Exhibit 237.

6 A. Yes.

7 Q. Do you recall that?

8 A. Uh-huh.

9 Q. That information -- that exhibit is
10 actually a correction to a schedule that was filed with
11 Staff witness John Cassidy's surrebuttal testimony; is
12 that correct?

13 A. I believe so, yes.

14 Q. Why was the information wrong when it was
15 first submitted to the Staff?

16 A. I don't remember. I don't know.

17 Q. Okay. But you reviewed that information?

18 A. I do review them. Gary Weiss prepares
19 them.

20 Q. Okay. And how often is that report
21 submitted to the Staff?

22 A. Quarterly.

23 Q. How often is that information compiled and
24 prepared by the company?

25 A. In that form, I think only for the Staff

1 reporting is my understanding. The only time I review it
2 is quarterly when it's going to be submitted to the Staff.

3 Q. So you don't accumulate that information
4 and tabulate it monthly?

5 A. If it is, I don't see it. I don't know.

6 Q. Okay. Now, in your surrebuttal testimony,
7 and you talked to some of the Commissioners about this
8 \$37 million number, that's simply an updated figure from
9 the \$15 million figure that's in your direct testimony?

10 A. Yeah. The \$15 million figure was derived
11 based on assets that were placed in service from March
12 2011 through December of 2011, and the updated in the
13 surrebuttal just updated that figure to include assets
14 that were placed into service in 2012 through the true-up
15 period at the end of July.

16 Q. Now, do you have your direct testimony
17 there --

18 A. Uh-huh.

19 Q. -- with you?

20 At the very -- this is a long time ago, but
21 when you very first took the stand, you made a correction
22 to your direct testimony.

23 A. Yes.

24 MR. BYRNE: I'm going to object. This is
25 outside the scope of questions from the Bench.

1 JUDGE WOODRUFF: He hasn't asked a question
2 yet.

3 BY MR. MILLS:

4 Q. It goes to the \$37 million, of which there
5 were a number of questions from the Bench. The correction
6 you made was to correct the number on line 22, the
7 reference to line -- the number on line 22, which is
8 actually less than 1/10 of a percent?

9 A. Yes.

10 Q. Isn't that number incorrect to begin with
11 because it's been updated?

12 A. It's not incorrect. It's just been updated
13 to include additional information. It was correct as of
14 December -- for the assets in place as of the end of
15 December.

16 Q. But that .097 percent is no longer the
17 number that you're testifying to?

18 A. That's correct, because we've updated it,
19 uh-huh.

20 Q. And now the \$37 million that you talked to
21 the Commissioners about, that's an annual revenue
22 requirement number, correct?

23 A. Yes.

24 Q. And --

25 A. I believe it is.

1 Q. And you would anticipate that that number
2 would be collected from customers over the life of the
3 assets?

4 A. That's correct.

5 Q. And did you not testify that those assets
6 are anticipated to have a life of 40 or 50 years?

7 A. 30 to 40. They're all long-term assets,
8 uh-huh.

9 Q. So if we were to assume that you were to
10 collect that amount for 40 years, do you know what that
11 would be?

12 A. I didn't calculate the math. The
13 37 million equates to \$6 million in a revenue requirement,
14 and so that calculates to be an increase in rates of about
15 21 cents per month.

16 Q. So the \$37 million is not a revenue
17 requirement number?

18 A. No. The revenue requirement number is the
19 \$6 million. If you look in my testimony, I believe it
20 says that.

21 Q. But you would anticipate to collect that
22 \$6 million over the 30 to 40-year life of the plant in
23 service, correct?

24 A. Uh-huh.

25 Q. And in addition, in every subsequent period

1 **you would add another additional \$6 million for additional**
2 **construction?**

3 A. Well, it may not be \$6 million.

4 Q. But something in that neighborhood?

5 A. Depending on how much we invest in that
6 interim period.

7 Q. And you would collect that in addition over
8 the same 30 or 40 years?

9 A. And basically it's rate base additions.
10 We're offsetting them by retirements and by changes in
11 accumulated depreciation. So it's just saying whatever
12 the net increase in rate base would have been if those
13 assets would have been in rate base as soon as they were
14 put into service, that's the piece that we're trying to
15 collect.

16 Q. But the \$6 million is just for one year of
17 additional collection, correct?

18 A. It's for a period of asset additions from
19 March 2011 through July of 2012, so a little bit more of a
20 year's worth of additions, and what the revenue
21 requirement would be had those additions been added to
22 rate base.

23 Q. But that would make rates \$6 million higher
24 not just for the first year after rates go into effect in
25 this case, but for the year after and the year after and

1 the year after that, correct?

2 A. That's correct, uh-huh.

3 Q. And if the Commission were to continue
4 plant accounting in the next rate case, for every year you
5 would add another \$6 million on top of -- as you said, it
6 may not be 6 million, but some amount for the plant in
7 service accounting on top of that every single year?

8 A. That's correct.

9 Q. So that number would continue to climb year
10 after year after year? It wouldn't hit 6 million from
11 this one period of investment and then stop at that level,
12 would it?

13 A. No, not at all. I mean, the premise isn't
14 that we're going to stop making capital investments. The
15 premise is that we're going to recover 100 percent of the
16 investments in the money that we spent.

17 Q. Now, with respect to -- I'm referring back
18 to the Exhibit 237 that Commissioner Kenney asked you
19 about just in general terms. I don't think you'll need
20 the document. But I think you answered a question from
21 Chairman Gunn about the Entergy refund. If the Entergy
22 refund was pulled out of that, would not the 10.53 be a
23 higher number if the Entergy refund was left in?

24 A. The Entergy refund was left in.

25 Q. Okay.

1 A. And that refund was about \$16 million after
2 tax, which is about 30 basis points. So what's in that
3 number is weather, and what's in that number is the
4 Entergy refund, and if the -- and the 10.2 had neither of
5 those things in it.

6 Q. Okay. Now, do you happen to have a copy of
7 **Mr. Baxter's direct testimony there with you?**

8 A. No, I don't.

9 Q. Did you have a chance to look at it or talk
10 about it during the break?

11 A. No.

12 Q. Okay. Because when we talk about the chart
13 in Mr. Baxter's testimony, there's actually more than one;
14 is that correct?

15 A. I believe so. I haven't looked at it in a
16 while.

17 MR. MILLS: Okay. well, Judge, may I
18 approach?

19 JUDGE WOODRUFF: You may.

20 BY MR. MILLS:

21 Q. Ms. Barnes, there are two charts in
22 **Mr. Baxter's testimony, are there not?**

23 A. Yes.

24 Q. And the primary difference is one is
25 **weather normalized and one is not weather normalized?**

1 A. I believe that's correct.

2 Q. Okay. And I believe you testified that the
3 information shown on Exhibit 237 is not weather
4 normalized?

5 A. That's correct, it is not.

6 Q. So that would be most comparable to the
7 chart in Mr. Baxter's testimony that is not weather
8 normalized; is that not correct?

9 A. Yes.

10 Q. And the information in Exhibit 237 covers
11 the 12 months ending June 31st, 2012, correct?

12 A. June 30th, yes.

13 Q. Okay.

14 A. Add an extra day there, but yes.

15 Q. The end of June 2012. Do either of the
16 charts in Mr. Baxter's testimony show the company earning
17 at or above 10.2 ROE for any of the months in 2000-- for
18 any of those 12 months?

19 A. That are encompassed in the 12 months
20 ending June 30th?

21 Q. Correct.

22 A. No.

23 Q. Okay. So if the information in Exhibit 237
24 is on an apples to apples basis with the information in
25 Mr. Baxter's charts, does that not mean that the end of

1 the 12-month period ending June 30th, 2012, you earned
2 substantially in excess of the 10.2 in order it make the
3 average over those 12 months to be 10.53?

4 A. Again, in June we had a revenue from an
5 Entergy refund of monies that had already been
6 contemplated because we'd already spent them, and that
7 showed up as revenue in one month, and that is in those
8 numbers. So that alone is 30 basis points on that
9 surveillance report.

10 Q. So the answer to my question is yes?

11 A. It would be for just that one month. The
12 month of June is where the \$30 million was recorded, and
13 that's really the main difference between what we earned
14 in that 12-month period and what our authorized was.

15 Q. So you're saying that -- do you know what
16 the other months between the end of Mr. Baxter's charts
17 and the end of Exhibit 237, do you know what the returns
18 were in those months?

19 A. I don't have that information in front of
20 me, no.

21 Q. But we know arithmetically that because
22 Mr. Baxter's chart shows substantially below 10.2,
23 correct, even on a non-weather-normalized basis, on
24 either basis --

25 A. Uh-huh.

1 Q. -- that in order for the average for those
2 12 months to be 10.53, that the period of time subsequent
3 to his chart must have been substantially above the period
4 of time that's shown in his chart?

5 A. There would have been weather in 2012, and
6 there would have been the Entergy. So those would have
7 resulted in a higher percentage for those events.

8 Q. Substantially higher to get the overall
9 average of 10.53, correct?

10 A. I'm not sure if I could define
11 substantially, whether I'd agree with that or not. It's
12 higher.

13 MR. MILLS: Those are all the questions I
14 have. Thank you.

15 JUDGE WOODRUFF: Staff?

16 MR. THOMPSON: Thank you, Judge.

17 RE CROSS-EXAMINATION BY MR. THOMPSON:

18 Q. There were questions about the 37 million,
19 the updating of your figure of 15 million in direct.

20 A. Yes.

21 Q. And I think you explained that 6 million is
22 the revenue requirement figure?

23 A. That's correct.

24 Q. And I think you also explained that those
25 assets are 30-year assets?

1 A. For the most part, 30 to 40.

2 Q. 30 to 40. Okay. And you would agree with
3 me, then, that 6 million times 40 years is \$240 million?

4 A. Yeah.

5 MR. THOMPSON: Thank you. No further
6 questions.

7 JUDGE WOODRUFF: Redirect?

8 MR. BYRNE: Yes, your Honor. May I
9 approach?

10 JUDGE WOODRUFF: You may.

11 REDIRECT EXAMINATION BY MR. BYRNE:

12 Q. Ms. Barnes, I'm handing you Mr. Baxter's
13 surrebuttal testimony, and I'd like to first --
14 And it's got a chart of earnings, and I'd like to talk to
15 you about the earnings he shows versus the earnings that
16 are shown on Staff Exhibit 237. Can you take a look at
17 that? And what page is that on or what schedule number is
18 that?

19 A. This is Schedule WLB-ES2 in his surrebuttal
20 testimony.

21 Q. Okay. And does that -- does that schedule
22 show an actual non-weather-normalized return for the 12
23 months ending June of 2012?

24 A. Yes.

25 Q. And what -- I mean, I know it's a bar

1 chart, but about what is it showing for the actual
2 non-weather-normalized return?

3 A. It's close to but it's below 9 percent.

4 Q. Below 9 percent. Okay. So Mr. Baxter's
5 showing below 9 percent, but on the surveillance report
6 that's on Staff Exhibit 237 shows 10.53 percent. That's a
7 pretty big difference.

8 A. That's correct.

9 Q. What accounts for that pretty big
10 difference? What's the difference between what
11 Mr. Baxter's number shows and what the surveillance report
12 shows?

13 A. Well, again, both of them don't have --
14 both of them have weather in them because he's not weather
15 normalizing his, but the Entergy refund is a big factor
16 because that's in our surveillance report.

17 Q. What about Taum Sauk, is Taum Sauk in both
18 of those or is it only in --

19 MR. MILLS: Object. That's leading.

20 JUDGE WOODRUFF: I'll sustain the
21 objection.

22 BY MR. BYRNE:

23 Q. Can you explain the difference between the
24 two charts, the two numbers?

25 A. Yes. Because the Taum Sauk disallowance

1 was made in the last rate order, the surveillance report
2 pretends like we didn't spend that money, and so that
3 \$90 million or \$89 million is essentially added back to
4 that 12-month period because that happened in the last
5 rate order. And so that has the impact of the increasing
6 the allowed return, the earned return on the surveillance
7 report.

8 But obviously our numbers as we look at
9 them externally do not reflect the write-off of that
10 \$90 million, and so that reduces the authorized return or
11 the earned return on these schedules from Warner.

12 Q. So does that reconcile Mr. Baxter's number
13 with the --

14 A. That's probably the biggest difference,
15 \$90 million on a pretax basis would be.

16 Q. Okay. And do you think it's appropriate on
17 the surveillance report to add back in the Taum Sauk
18 disallowance? Is it arguably appropriate to do that?

19 A. Based on this Commission's decision, we're
20 reflecting the numbers based on the order that we received
21 in the last case.

22 Q. But if we're going to start adjusting the
23 actual returns that the company earns, are there other
24 adjustments that should be made, too?

25 A. Well, again, I think the question becomes

1 do we want to get to a truly apples to apples basis. The
2 10.2 was assuming we didn't have the disallowance -- that
3 we did have a disallowance for Taum Sauk. It's weather
4 normalized. The Entergy refund was an event that was --
5 that occurred in this period but really was a refund of
6 expenses that we had incurred over, you know, several
7 historical periods.

8 So I think you can get into a really
9 slippery slope about trying to get to a lot of
10 adjustments.

11 **Q. Let's talk about the Entergy refund. What**
12 **is the Entergy refund? Can you tell me what that is?**

13 **A.** The Entergy refund came about as a result
14 of a FERC order that required Entergy to refund us
15 purchased power costs that they had inappropriately
16 charged us over a period of time that we had a contract
17 with them. That period of time was 2007 through 2009.

18 **Q. And did the company pay those costs back in**
19 **2007 and 2009?**

20 **A.** Yes. They were part of our purchased power
21 costs in that period.

22 **Q. And then how did we get the money back?**
23 **How did we get it back?**

24 **A.** Well, we got one big check in the month of
25 June.

1 Q. And how much was the check for?

2 A. \$30 million.

3 Q. \$30 million. And that's included in the
4 surveillance report information in Staff Exhibit 237?

5 A. Yes.

6 Q. And how much -- on an after-tax basis, how
7 much did that impact the earnings shown to the company?

8 A. It's a \$16 million after-tax effect, and
9 that was about 30 basis points on the ROE.

10 Q. Okay. And if you took 30 basis points off
11 the ROE that's shown on the surveillance report, how much
12 would it be?

13 A. It would be much closer, practically on our
14 authorized return.

15 Q. What number would it be?

16 A. Well, 10.53 minus 30 basis would be 10.23.

17 Q. Okay. And are our rates set on a weather
18 normalized or non-weather-normalized basis?

19 A. Our rates are set, the 10.2 is on a weather
20 normalized basis.

21 Q. And did we experience unusually favorable
22 weather or unusually unfavorable weather in the 12 months
23 ended June 30th, 2012?

24 A. It was definitely favorable when you look
25 at the July and August periods of 2011 and the June 2012

1 month that was included.

2 Q. And if you weather normalized the
3 information in the surveillance report, would it show that
4 we're earning above or below our authorized return on
5 equity?

6 A. I believe if you weather normalized it, it
7 would show that we're below the 10.2.

8 Q. I guess that's all that I had with regard
9 to Mr. Baxter's testimony.

10 Mr. Mills in his cross-examination asked
11 you a number of questions about has plant in service
12 accounting been implemented exactly in the form we have it
13 in other jurisdictions. I believe you said no. He said
14 have you read any articles in Public Utilities Fortnightly
15 or seen any cases or anything like that that has exactly
16 the form that we are suggesting? Do you remember those
17 questions?

18 A. I do.

19 Q. Why does the company think it's appropriate
20 for the Commission to implement this when there haven't
21 been any articles in Public Utilities Fortnightly about
22 it?

23 A. Again, I think every jurisdiction seems to
24 operate a little bit differently across the country, and I
25 just -- conceptually and the reason why I think I was

1 sponsoring this testimony in the first place is really
2 because of this chart and the fact that we've got this
3 donut hole. It doesn't make sense to me that if the
4 Commission feels it appropriate for us to recover our
5 investment once an asset gets into rate base and it allows
6 us to recover carrying costs when we're constructing the
7 asset via AFUDC, why we shouldn't recover the entire cost
8 of our investment once it's placed into service when the
9 customers are actually benefiting from that investment.

10 And so that really is the premise to bring
11 this proposal to the Commission. It's just to say that
12 that fundamentally doesn't make any sense to me, and I
13 don't understand from a regulatory perspective why we
14 would want that to take place.

15 I think then, you know, you look at that
16 time, and it's been said that we can control when we come
17 in for a rate case versus when we place assets in service,
18 and obviously that's true for very large investments, but
19 we make investments every day, and when we're replacing a
20 pole, we can't necessarily wait to do all of that until
21 we're in the middle of a rate case and can time it exactly
22 right with our true-up period.

23 And even if we could, we'd still have a
24 five-month gap between placing those assets in service and
25 actually beginning to recover from. So we'd still have at

1 least five months of depreciation and return that we would
2 never be able to recover, and that just fundamentally
3 doesn't make sense to me from a regulatory perspective.

4 **Q. Can the company wait until the date of the**
5 **true-up to install all of its plant?**

6 A. Absolutely not. In some cases we'll have a
7 storm where we have to restore customers, and we're going
8 to do that, and right now we're doing that to our own
9 detriment if that doesn't happen to fall right around a
10 true-up in a rate case.

11 **Q. You were asked a question early on, I think**
12 **by one of the Commissioners, about this, and I think it**
13 **was characterized as plant in service accounting would**
14 **encourage investment in our system. Do you recall that?**

15 A. Uh-huh.

16 **Q. But in your testimony you referred to**
17 **eliminating a disincentive to invest. Which is it or does**
18 **it make a difference?**

19 A. Well, I think definitely it's eliminating a
20 disincentive to invest, but I don't think it opens the
21 gate for, you know, over-investment as well because we
22 still have other limitations with respect to cash. I
23 mean, this is a tracker-type mechanism, a deferral-type
24 mechanism. We still don't get the cash except for when it
25 gets into rates, and then it's over a 40-year life of the

1 asset. So we still have other constraints that have to be
2 considered when we're making decisions about how much or
3 what level of investment we make. So I think there are
4 checks and balances there that prohibit us from
5 overinvesting.

6 **Q. I think Mr. Mills asked you some questions**
7 **about the matching principle and if this is consistent**
8 **with the matching principle?**

9 A. Yes.

10 **Q. My question is, does the matching principle**
11 **require a regulatory regime where we can't recover the**
12 **cost of our investment, in your opinion?**

13 A. No. I don't believe so. I'm not sure why
14 we can't recover all of our investments.

15 **Q. You were -- Mr. Thompson, I think, asked**
16 **you about whether this was a departure from cost of**
17 **service ratemaking because it's -- because it consists of**
18 **a deferral, and I think he cut off your answer. I don't**
19 **know if you remember, but you said it's not out of the**
20 **realm, and then he cut you off. Do you have anything**
21 **you'd like to add to your answer or do you even remember**
22 **it at this point?**

23 A. All I would say is that, you know, while
24 we -- we've talked about this in terms of it being out of
25 the box. It is not fundamentally different than other

1 things that have been proposed or that, frankly, have been
2 implemented. And again, it's just really looking at that
3 period of time, that gap between when things are placed in
4 service and what they get into rates, and I'm not sure I
5 understand why that can't be recovered or why that should
6 not be recovered, particularly given that we -- all of us
7 as utilities are having difficulties in earning our
8 authorized return and is resulting in us having to come in
9 for rate cases every year almost.

10 **Q. You got some questions from the Bench and**
11 **maybe some of the lawyers about whether there should be --**
12 **or how this would affect the ROE that the Commission**
13 **should authorize the company.**

14 **A. Uh-huh.**

15 **Q. I guess my question is, do you know if the**
16 **Commission adopts plant in service accounting, do you know**
17 **whether that will make the regulatory framework in**
18 **Missouri less risky than the regulatory frameworks in**
19 **Other states where other electric utilities operate?**

20 **A. Well, I think, again, if we think about it**
21 **in the context of when they talk about constructive**
22 **regulatory environments, that it will improve that**
23 **compared to what they currently think about Missouri. But**
24 **on a comparison basis, I think, you know, formula rates**
25 **and some of the other mechanisms that are in place in**

1 other jurisdictions probably are still more favorable than
2 just this plant in service accounting proposal.

3 **Q. Is the fact that there aren't a lot of --**
4 **the Missouri jurisdiction's not more favorable in terms of**
5 **the regulatory environment to encourage investment, is**
6 **that the fault of these Commissioners?**

7 A. Absolutely not. I think what we're
8 experiencing is just that, I think it's been brought up
9 several times, is that there's a bit of a change in the
10 paradigm, and over the course of a hundred years, you're
11 going to have ebbs and flows, and I think we're in an
12 environment right now where we don't have growth in our
13 service territory or in customer demand, and yet we have
14 assets that are aging that need to be replaced.

15 And so I think as we all make business
16 decisions and adjust our business practices to whatever
17 the current environment is, I think we're right at the
18 cusp of a change in the environment that gives an
19 opportunity to this commission to address that and to be
20 proactive in how they think about the policy and how we
21 want to move forward rather than not wanting to change it
22 because it's worked well for the last hundred years.
23 Maybe that mean it's not going to work well for the next
24 hundred. That's for you to decide.

25 **Q. Do you know if Mr. Hevert contemplated that**

1 plant in service accounting would be approved or not
2 approved when he made his rate of return -- or return on
3 equity recommendation in this case?

4 A. I haven't specifically asked him that. I
5 think he did contemplate it, but I know in how he thought
6 about how our ROE should be based compared to other
7 utilities that he took into consideration the regulatory
8 environment overall. And I think his testimony suggests
9 that there should be a premium on the ROE because the
10 regulatory environment is not as favorable as perhaps in
11 other jurisdictions.

12 Q. Someone asked you if Ameren Missouri has
13 ever had trouble selling bonds or accessing debt markets,
14 and I think you said not recently. But in -- do you know
15 if in 2008 during the financial crisis there were any
16 concerns about accessing different kinds of debt by
17 different Ameren entities?

18 A. Clearly we scaled back our spend quite
19 dramatically at the end of 2008 because there were
20 concerns about accessing the markets and having liquidity
21 issues. We reacted similarly to a lot of other utilities
22 at the time.

23 Q. When you say accessing markets, what
24 markets are you talking about?

25 A. Well, the capital markets for either

1 short-term debt, long-term debt and what the interest
2 rates might be, and certainly at that point in time equity
3 was not a, I don't think, a viable option.

4 Q. I think in response maybe to Mr. Mills, and
5 I think one of the Commissioners, they talked about the
6 point that this mechanism would be one way. In other
7 words, it would only increase costs for customers. Do you
8 recall those questions?

9 A. I do.

10 Q. And I guess my questions are, do the costs
11 go both ways in this situation or do the costs only go one
12 way?

13 A. Well, we make the investments for the
14 benefit of customers. The way I guess I think about it is
15 that we're asking the customers for a small increase, but
16 the benefits that they receive by us making these
17 investments are far greater than what the expense or what
18 the increase might be to their rates.

19 So I don't see us refunding as a result of
20 something like this, but I think there's definitely an
21 opportunity here to take advantage of lower interest rates
22 and have the ability to make the investments when we can
23 optimize our spend and make it as inexpensive as possible
24 to customers to make those investments.

25 Q. I think Commissioner -- or Chairman Gunn

1 talked to you about the possibility that adoption of plant
2 in service accounting might be seen as legislating from
3 the Bench.

4 A. Yes.

5 Q. Do you recall that line of questioning?
6 And specifically he talked about the statutory prohibition
7 against including CWIP in rate base. Do you know what --
8 do you know why CWIP is not allowed to be included in rate
9 base, what characteristics there are of CWIP that keep it
10 under the Missouri statutes from going into rate case?

11 A. Actually, I don't.

12 Q. Fair enough. You're not a lawyer, as I
13 objected to before.

14 A. That's right.

15 Q. You talked a little with Commissioner
16 Jarrett about the pension and OPEBs tracker, and I think
17 it was -- I think you talked about lack of control and
18 volatility.

19 A. Uh-huh.

20 Q. Can you explain why the costs for pensions
21 and OPEBs are volatile and outside of our control? What
22 makes them out of our control and volatile?

23 A. Well, I think there's two things. First of
24 all, you're estimating what the cost of the benefit's
25 going to be when it's actually utilized, and that's

1 several years out for employees obviously because they
2 access that when they retire.

3 The other side of that is the level of
4 investments and the funding are based on discount rates
5 and what the stock market does, and so it's very difficult
6 to keep in sync what the cost is going to be compared to
7 what the funding level is going to be and what discount
8 rate's going to be used to anticipate how much is going to
9 be needed to actually fund those benefits when they are,
10 in fact, ready to be distributed.

11 **Q. I mean, does stock market performance**
12 **affect the cost of pensions and OPEBs?**

13 A. To the extent that we've invested and
14 that's what we do when we fund the pension is that it goes
15 into a trust and that's invested in the stock market.

16 **Q. Okay. Early on I think you said in**
17 **response to a question that AFUDC is applied to all cap--**
18 **100 percent of capital investments, but do you know if**
19 **it's -- if it's applied to like land, when we make**
20 **investments in land?**

21 A. Well, land's not really construction.
22 Land's just an asset purchase. So true asset purchases
23 aren't construction, so AFUDC would not be applied to
24 those.

25 **Q. So it more just applies to the construction**

1 **projects you're saying?**

2 A. Yes.

3 MR. BYRNE: Thank you, Ms. Barnes. That's
4 all the questions I have.

5 JUDGE WOODRUFF: We have additional
6 Commissioner questions. Sorry.

7 THE WITNESS: That's okay.

8 JUDGE WOODRUFF: We'll allow further
9 redirect and -- or recross and redirect after the
10 questions.

11 FURTHER QUESTIONS BY COMMISSIONER KENNEY:

12 **Q. Sorry.**

13 A. That's okay.

14 **Q. I feel bad for you.**

15 A. I'll be back this afternoon and another day
16 and another day. It's okay.

17 **Q. All right. I don't feel so bad then.**

18 **Okay. I want to ask you again about this actual earned**
19 **ROE document. Mr. Byrne said that the \$16 million Entergy**
20 **refund was provided in June, right?**

21 A. Yes.

22 **Q. And you said that accounted for 30 basis**
23 **points?**

24 A. Yes.

25 **Q. So deducting that from the 10.53 would**

1 **yield 10.23?**

2 A. That's correct.

3 Q. But is that the correct way to deduct that?
4 **If the 10.53 reflects an average of 12 months and the 30**
5 **basis points was 30 basis points for the month of June,**
6 **don't you back it out of whatever -- I mean, this 10.53**
7 **isn't just one month, right?**

8 A. No, but the 10.53 is based on those 12
9 months of earnings, and in those 12 months of earnings the
10 \$30 million Entergy -- so if the \$30 million Entergy
11 refund hadn't been in there, when you calculated the ROE
12 for those 12 months, you would have had an ROE that was 30
13 basis points lower.

14 Q. Okay. So this -- and the reason I'm asking
15 about it, because I want to just -- let me just back up a
16 second. You made a point about that chart, and you made
17 the point that we allow for recovery of AFUDC.

18 A. Uh-huh.

19 Q. It doesn't make sense that we wouldn't
20 allow for recovery, and I think that's arguably a fair
21 point, and it merits further discussion. But part of the
22 reason Ameren is asserting the need for this PISA is
23 chronic under-earning?

24 A. That's correct.

25 Q. And chronic means sustained over a lengthy

1 period of time, and so then when we're presented with a
2 document that shows an ROE of let's even say 10.23
3 averaged over a 12-month period taking out the Entergy,
4 that still you're hitting your ROE, and it belies the
5 argument that there is a persistent and chronic
6 under-earnings when you have at least a 12-month period
7 reflecting something where you've hit the ROE.

8 So the reason I think that this -- it's
9 important for me at least to understand the disconnect
10 between this exhibit and WLB-ES2. And I'm just -- and I'm
11 not trying to belabor the point. I really just want to
12 understand how these two documents differ. As I
13 understood it from additional questioning from Mr. Byrne,
14 the Entergy refund is reflected here --

15 A. Uh-huh.

16 Q. -- but not reflected in Mr. Baxter's chart?

17 A. I think the major difference between the
18 two charts really when you come down to it is Taum Sauk.

19 Q. Which was \$90 million, right?

20 A. That's right. The way that surveillance
21 report was prepared was if the \$90 million was not written
22 off.

23 Q. Which --

24 A. Was not included. Let me make sure I'm
25 backward. It was as if you disallowed it and we did not

1 have an expense, which the way we accounted for that
2 disallowance when that happened with the last rate order
3 is that we would have recorded a \$90 million expense, and
4 that expense is reflected in Mr. Baxter's chart. It is
5 not -- that expense is not included in the 12-month
6 numbers that you're looking at on the surveillance report.

7 **Q. So the surveillance report more accurately**
8 **lines up with how we made -- the decisions we made in the**
9 **preceding rate case, then?**

10 A. Yes, with respect to Taum Sauk.

11 **Q. Okay.**

12 A. But again, the weather -- the 10.2 assumed
13 we had normal weather, and the 10.2 wouldn't have
14 contemplated the Entergy refund because we didn't know
15 about that a year ago either. We were still waiting for
16 an order from FERC.

17 **Q. You're talking about the 10.2 that we**
18 **authorized?**

19 A. That's correct, which is what you're trying
20 to compare to on that surveillance report with 10.5.

21 **Q. Why does that matter?**

22 A. Why does what matter?

23 **Q. Whether or not -- well, you said that the**
24 **10.2 doesn't -- that we -- that we allowed in our last**
25 **rate case didn't reflect the Entergy refund?**

1 A. That's correct.

2 Q. So how does that matter?

3 A. Well, because it's in the 10.5 calculation.

4 Q. But you took it out.

5 A. I did, and then I got to 10.23. So the
6 other difference is there's weather in the 10.23 number
7 and your 10.2 number assumes normal weather.

8 Q. But isn't that one of the contemplated
9 vagaries of the regulatory process is that you're going to
10 have -- what you actually end up earning is going to be
11 reflective of changes in the weather?

12 A. That's why you have to look at these not in
13 a vacuum but look at a trend. So for one period we have
14 weather, but if for subsequent periods and prior periods
15 there wasn't any weather, that kind of gets back to the
16 whole premise of are we sometimes earning our return and
17 sometimes not earning our return but over time we're right
18 around, hovering around what that authorized return is, or
19 are we consistently not earning it or consistently earning
20 it, overearning.

21 And I think the information that we're
22 sharing with you is suggesting that we are consistently
23 under-earning.

24 Q. But I guess what I'm not -- what I'm
25 hearing from you, though, is that the actual earned ROE

1 reflected in the surveillance report --

2 A. The actual earned ROE is not reflected in
3 the surveillance report is what I'm telling you. The
4 actual earned ROE is what's in Mr. Baxter's chart.

5 Q. I haven't asked a question yet. Then why
6 is -- I don't understand then. Then why did you refer to
7 this as the actual earned ROE and provide it in response
8 to -- I don't know if it was a data request or in the
9 course of this case it was provided to the Staff and it's
10 titled actual earned ROE, and the distinction between this
11 document and Mr. Baxter's chart as you just said is the
12 Entergy refund, Taum Sauk and -- but Taum Sauk actually
13 makes the actual earned ROE that's in the surveillance
14 report more aligned with our 10.2 authorized ROE, is what
15 I think you just testified to.

16 A. Uh-huh.

17 Q. So that number backing out the 30 basis
18 points for the Entergy refund is still more consistent and
19 is reflective of the allowed ROE that we authorized in the
20 last rate case, if I'm understanding what you just said
21 about Taum Sauk.

22 A. So the difference is weather.

23 Q. So the difference is weather. All right.
24 But, so that brings me back to my question. We authorize
25 a particular ROE, and it's contemplated and understood

1 **that your actual ROE is going to reflect the vagaries of**
2 **the weather, right?**

3 A. I believe your authorized ROE assumes that
4 the weather's going to be normal. I'm not sure what that
5 means when you say the vagaries of the weather.

6 Q. **So what you're saying, then, is that the**
7 **chart that we really should be looking at is WLB-ES3, and**
8 **Mr. Byrne can help you out, which is weather normalized?**

9 A. I don't have a copy of that chart in front
10 of me.

11 Q. **Or WLB-ES1. I'm sorry.**

12 MR. BYRNE: May I approach the witness?

13 JUDGE WOODRUFF: You may.

14 THE WITNESS: I believe WLB-ES3.

15 BY COMMISSIONER KENNEY:

16 Q. **Skip that. ES1. I'm sorry.**

17 A. ES1 is weather normalized.

18 Q. **So I should pay no attention to this**
19 **surveillance report? I mean, what is the value of it,**
20 **then, if it's not -- it's not -- you just said it's not**
21 **actual, but this is the actual.**

22 A. Well, it picks up actuals -- how do I want
23 to explain this? It picks up actual expenses per books
24 for electric. And what Warner's chart picks up is not
25 just the regulatory expenditures and revenues, but it's

1 going to pick up -- for example, it's going to pick up
2 additional items because on -- from an external
3 perspective, we look at our total earned ROE for the
4 entire business.

5 Q. These both are Ameren Missouri, right?

6 A. Uh-huh. I wish I could answer you more
7 clearly, but I didn't prepare these schedules from Warner.
8 So I must admit, I have to really study what -- how these
9 were prepared versus the surveillance report.

10 Q. No. I understand. I'm just -- I mean, I
11 understand that you didn't prepare that one, but you're
12 able to speak competently and cogently as to the
13 surveillance report, and what I'm -- the conclusion that
14 I'm coming to is that the surveillance report, because
15 it's not weather normalized, and I'm paraphrasing again,
16 but it's not weather normalized, so, therefore, it's not
17 truly reflective of a regulatory actual ROE because it
18 doesn't line up with how we arrived at our 10.2 authorized
19 ROE.

20 A. I think that's correct.

21 Q. So then what's the value of this and why
22 would you ever even provide it to a regulatory body?

23 A. I don't know the history of how that
24 surveillance report was originally required. I mean, it's
25 a reporting requirement of the Commission, and I think

1 it's prepared based on the instructions of the Commission.
2 Other than that, I don't know. That's a good question, I
3 guess.

4 Q. I guess what I'm hearing you say today is
5 ultimately it has no value --

6 A. No. I think the --

7 Q. -- in the regulatory context?

8 A. For today and how we should think about it,
9 no. I think the charts that are in Mr. Baxter's testimony
10 are much more indicative of what you should be thinking
11 about.

12 Q. So you said also that our regulatory
13 environment is in the bottom 10 to 25 percent, and it
14 would make us less risky but we'd still not necessarily be
15 as credit supportive as other entities?

16 A. That's correct.

17 Q. That bottom 10 to 25 percent, upon what is
18 that based, or who's the entity that says that?

19 A. I believe the information I've seen comes
20 from Regulatory Research Associates, and they look at the
21 comparison of all the different structures in the
22 jurisdictions.

23 Q. And then the last question, and I think
24 this really is my last question, you indicated that not
25 having the plant in service accounting authority would

1 maintain the disincentive to make capital investment,
2 right?

3 A. That's correct.

4 Q. And I think that you said there are
5 decisions made and projects delayed because of the current
6 regulatory environment not having the plant in service
7 accounting?

8 A. That's correct.

9 Q. Are there specific projects that you could
10 identify that Ameren made the conscious decision not to go
11 forward by virtue of the fact of the current regulatory
12 mechanisms that are in place?

13 A. Yeah. A couple of examples of projects
14 that we would have liked to have done on a more current
15 basis. We typically use mobile substations in our
16 business when we have a failure, and it allows us to put
17 in something temporary while we're making the larger fix,
18 and we would like to have more of those to place across
19 the state so that when we have a failure we can restore
20 customers on a more frequent basis, but we have not been
21 able to justify really getting those. Those are more of a
22 discretionary expense, and we've not been able to fund
23 those as timely as we would like to.

24 Additionally, we've got some substations
25 out there that frankly predate me, late '50s, early '60s

1 vintage substations that I think it would be appropriate
2 to replace, and we would like to be able to do that.
3 They're still providing safe and reliable service today,
4 but we'd certainly like to take a look at those given
5 their age and make adjustments as necessary to replace
6 them if we could warrant that replacement by having the
7 additional funds to spend.

8 So things like that on the underground
9 mechanism or infrastructure in downtown St. Louis is also
10 something that's pretty dated and obviously has
11 ramifications if there were a failure there. Again, we
12 believe it provides safe and adequate service, but if
13 there were -- we'd just like to be able to systemically
14 and on a reasonable basis be able to make those
15 improvements, you know, realizing there's some limitations
16 when you're tearing up streets that you can't do it really
17 quickly, but to be able to do it on a little more quick
18 basis just to avoid anything that could happen there that
19 could be catastrophic.

20 So there's some examples of certain
21 projects that, you know, they are more discretionary in
22 nature. At least the amount of time and timeline that we
23 use to fund those can be delayed. We're still providing
24 safe and adequate service, but would feel more comfortable
25 if we had the ability to invest in those to maintain the

1 reliability that our customers have grown to expect from
2 us and that we've been able to provide.

3 Q. Were those off the top your head or are you
4 reading something?

5 A. No. I have a cheat sheet.

6 COMMISSIONER KENNEY: Okay. All right.
7 Thank you.

8 JUDGE WOODRUFF: Commissioner Jarrett, you
9 had questions?

10 COMMISSIONER JARRETT: Yes, Judge. We've
11 had a lot of different witnesses testify about Exhibit
12 237. We've had lots of questions about Exhibit 237. I
13 get more and more confused over Exhibit 237 with each
14 question.

15 Can the company provide a revised chart
16 like Mr. Baxter's that takes into account Taum Sauk and
17 weather and Entergy and everything that went into this 237
18 so that we actually have a chart that's consistent with
19 237?

20 MR. BYRNE: There already is a chart that
21 takes into account Taum Sauk and Entergy and weather
22 normalization in Mr. Baxter's surrebuttal testimony.

23 COMMISSIONER JARRETT: Does it take out
24 weather normalization, too?

25 MR. BYRNE: We've got it both ways. We've

1 got it weather normalized and not weather normalized, and
2 it's in his surrebuttal testimony, which I gave to
3 Ms. Barnes. May I approach, your Honor?

4 JUDGE WOODRUFF: You may.

5 MR. BYRNE: I mean, I guess.

6 COMMISSIONER KENNEY: It's in the
7 surrebuttal.

8 MR. BYRNE: And the ones I'm specifically
9 talking about are ES3, the WLB-ES3 and WLB-ES4. One is
10 weather -- the difference between them is one is weather
11 normalized, one is not weather normalized. ES3 is weather
12 normalized. ES4 is not. And it takes into account, it
13 takes Entergy out of our earnings, both of the charts do.

14 Both of the charts put the Taum Sauk
15 disallowance back in. So they, you know, properly from
16 the Commission's perspective account for the Taum Sauk.
17 In other words, they count -- they don't count it against
18 our earnings that the Taum Sauk was disallowed. Do you
19 see what I'm saying?

20 COMMISSIONER JARRETT: Yes.

21 MR. BYRNE: And what was the third one? I
22 think the --

23 COMMISSIONER JARRETT: The weather.

24 MR. BYRNE: Well, and then also there was
25 another disallowance, which was the FAC disallowance, and

1 these charts once again don't lower our earnings for the
2 FAC disallowance, which was I think --

3 THE WITNESS: \$17 million.

4 MR. BYRNE: -- around \$17 million on the
5 first FAC, Wabash, AEP. So we put the \$17 million back in
6 that was disallowed, even though that would not be
7 reflected on our book earnings, but because it was a
8 disallowance we put it back in. We put back in the Taum
9 Sauk disallowance, because even though on our books it
10 shows lower earnings because of the Taum Sauk
11 disallowance, we didn't think it was fair to reflect it on
12 that chart. And then -- and it took out the Entergy
13 because that was a one-time refund of \$30 million. And
14 that's what you got on a weather normalized and
15 non-weather-normalized basis.

16 COMMISSIONER JARRETT: So Exhibit 237 is
17 non-weather-normalized, right?

18 THE WITNESS: Correct.

19 MR. BYRNE: Right.

20 COMMISSIONER JARRETT: So which chart is it
21 that's the non-weather-normalized?

22 MR. BYRNE: ES-4.

23 FURTHER QUESTIONS BY COMMISSIONER JARRETT:

24 Q. Ms. Barnes, I'll ask you, what he said --

25 A. Yes.

1 Q. -- does that reflect the way that
2 Exhibit 237, the surveillance report in 237 was
3 calculated?

4 A. With all those things changed?

5 Q. Yeah.

6 A. No, it was not. Entergy is in the
7 surveillance report, and weather is in the surveillance
8 report.

9 Q. Right. Okay. And it's not in the chart
10 that Mr. Byrne just mentioned?

11 A. That's right.

12 Q. Can I get a chart that does?

13 A. I think one of those -- it's out of both of
14 his charts, right? Those two things are out of both of
15 his charts?

16 MR. BYRNE: Correct.

17 COMMISSIONER JARRETT: I'm just asking for
18 a chart that is figured the same way this is figured with
19 those come components that were in or out.

20 MR. BYRNE: I'm sorry.

21 COMMISSIONER JARRETT: Do we have it or do
22 we not?

23 MR. BYRNE: Can I ask some questions --

24 COMMISSIONER JARRETT: Yes.

25 MR. BYRNE: -- and try to figure out what

1 you're -- I'm just having trouble following. Okay. The
2 difference between the surveillance report and just the --
3 just the non-weather-normalized basic chart that
4 Mr. Baxter had, the only difference is Taum Sauk was added
5 back in to the surveillance report.

6 So the surveillance report has Entergy in
7 it, and Mr. Baxter's first chart, I think it's ES-1 in his
8 surrebuttal testimony, the only real difference is the
9 Taum Sauk being added back in to the surveillance reports.
10 So they both have Entergy in them. They both -- they both
11 are not weather normalized. The only difference would be
12 the Taum Sauk piece.

13 COMMISSIONER JARRETT: Well, can we make it
14 the same by adding the Taum Sauk, taking Taum Sauk out,
15 whichever?

16 MR. BYRNE: Sure.

17 COMMISSIONER JARRETT: Because there was a
18 lot of discussion between the two Commissioners about how
19 these were different in the charts and how one chart may
20 be inaccurate because of this and trying to figure out
21 which one's accurate. I was just simply asking, can we
22 get a chart where everything is the same as this so that
23 we'll have at least another chart to look at as far as
24 which ones we should be looking at?

25 MR. BYRNE: You're saying make a chart of

1 our surveillance report and then that would be comparable,
2 I guess.

3 COMMISSIONER JARRETT: I don't know.

4 Ms. Barnes, can you help out?

5 THE WITNESS: Well, are you just trying to
6 say you're trying to look at that to compare it to what
7 the charts, the Warner -- the charts that are in
8 Mr. Baxter's testimony?

9 COMMISSIONER JARRETT: Yes, because --

10 THE WITNESS: Then I think that is what
11 he's asking for is just a chart that pictorially shows
12 what's in our surveillance reports for those comparable
13 periods, but they're not going to -- but the data's still
14 going to be different. Those reports are prepared on a
15 different basis than the way the charts in Mr. Baxter's
16 testimony were prepared because we follow the requirements
17 of the surveillance reports.

18 BY COMMISSIONER JARRETT:

19 Q. Right. I understand that.

20 A. Okay.

21 Q. I'm trying to get an apples to apples
22 comparison.

23 A. And apples to apples between?

24 Q. Between Mr. Baxter's chart and this, and
25 there were things taken out of Mr. Baxter's chart or put

1 in Mr. Baxter's chart that were not taken out or not put
2 in this.

3 A. Uh-huh.

4 Q. So I'm just simply asking, can we have a
5 chart like Mr. Baxter's --

6 A. That reconciles between --

7 Q. -- that reconciles between this and that
8 for this -- for that period of time. It doesn't -- it's
9 not going to affect obviously 2007, but it's going to
10 affect maybe --

11 A. So do you want those for the 2012 or -- I
12 mean, what periods do you want that for? I think I can
13 think of a way we might be able to do this.

14 Q. Right. It's for the 12 months ended
15 June 30, 2012.

16 A. You just want to see that one, the
17 difference between that one period and what we say in
18 Mr. Baxter's charts for that June 2012 period?

19 Q. Right. Compare the chart with this.

20 A. Okay. I have an idea. Let me give a go at
21 it and we'll bring you something back and see if that
22 answers your question.

23 Q. All right. Thank you.

24 JUDGE WOODRUFF: Procedurally what I'm
25 going to do, then is reserve No. 50 for that chart, and

1 when you have it ready, submit it as No. 50.

2 THE WITNESS: Okay.

3 COMMISSIONER JARRETT: That's all I have.

4 Thank you.

5 JUDGE WOODRUFF: Mr. Chairman, did you have
6 anything else?

7 CHAIRMAN GUNN: I was going to, but if we
8 have this new chart -- I'm going to sound frustrated, I'm
9 going to sound annoyed, and it's because I am. It's
10 because fundamentally when you use charts to try to
11 advocate for a position and manipulate them, and it is
12 manipulation because some of it's in, some of it's not,
13 Taum Sauk should have been taken out or Entergy was in, it
14 creates the kind of confusion that you see from the
15 Commissioners up here.

16 And so the -- and, quite frankly, and I --
17 you know, we had agreement on some times when there was
18 testimony that the ROE was earned above the 10.2 and then
19 below it was not. So I would -- this is not everybody's
20 finest hour on this information, and I urge that we get
21 this right and provide us with the information so we can
22 make good decisions on what we're trying to do. That's
23 all I have to say. Thanks.

24 JUDGE WOODRUFF: Mr. Byrne, do you know how
25 quickly you'd be able to have this chart? I assume not

1 today.

2 THE WITNESS: Maybe tomorrow. Maybe
3 Wednesday. I'll do what I can. I have an idea.

4 JUDGE WOODRUFF: And Ms. Barnes will be
5 back later on in the hearing as well, I believe.

6 THE WITNESS: Yes, several times.

7 JUDGE WOODRUFF: Okay. We'll deal with it
8 then.

9 MR. BYRNE: Mr. Weiss is the one who did
10 the calculations for both of the charts, and he'll be
11 appearing a couple of more times in this proceeding, so --

12 JUDGE WOODRUFF: Whoever's most appropriate
13 to present the chart you can use.

14 Commissioner Stoll, you had something?

15 COMMISSIONER STOLL: I do.

16 QUESTIONS BY COMMISSIONER STOLL:

17 Q. Kind of -- I don't want to belabor this.
18 The other Commissioners may totally understand this, but
19 when you're talking about weather normalization, you've
20 got the two graphs. One is weather normalized and one
21 isn't. When you take out what's referred to as the
22 abnormal weather months, you're not really -- you're
23 taking -- you're taking out what exactly? You're taking
24 out what is considered abnormal?

25 A. No. Well, I mean, our billing units are

1 based on the assumption that weather is normal in every
2 period. That's how the rates are set. And so to the
3 extent that our sales are higher or lower and we can
4 attribute that to weather, and it's an art, not a science,
5 then we weather normalize.

6 So earlier this year, if you think about
7 the first quarter, winter weather was much warmer than we
8 would have anticipated, and we would have been negatively
9 impacted by that. And then by the summer, obviously in
10 June and July with the hundred degree plus temperatures,
11 we would have had more sales relating to the warmer
12 weather.

13 So we -- all we try to do is take our
14 numbers, our actual sales and estimate as best we can what
15 portion of those sales either below or above what was
16 built into rates was attributable to weather versus other
17 things, the economy, conservation, energy efficiency.
18 There's lots of reasons why our sales go up and down, but
19 that's what we mean when we say weather normalized.

20 Q. And so if you -- if you earn more in a
21 month or several months because of abnormal weather
22 conditions but you take that out, maybe this is something
23 I need to look at behind the scenes, but that -- how is
24 that reflected in the ROE? It almost seems to me, and
25 maybe I'm wrong, it would be like a retailer taking out

1 **Christmas sales, but that's probably --**

2 A. Well, I think the question becomes when the
3 ROE is set and we say it's set based on normal weather,
4 then if our ROE goes up because we have warmer than normal
5 temperatures, then what portion of that increase is
6 related to the weather? And the same thing happens in a
7 period where the weather was warmer or cooler, whatever
8 season we're in, how does that negatively impact our
9 ability, to just try and get to that apples to apples,
10 which we've apparently not been able to do very
11 successfully today.

12 **Q. And then eventually I guess that's where it**
13 **would be determined if the company had over-earned and the**
14 **ratepayers would get --**

15 A. Right.

16 **Q. -- a credit or --**

17 A. Right. I think to simplify that, I think
18 the point we were trying to make is that if we're
19 continually chronically under-earning even in cases where
20 the weather may have been warmer than normal or if the
21 only reason why we've over-earned in a particular period
22 is because the weather was warm, then that suggests that
23 something else isn't working in the regulatory construct
24 because we should expect some variation. Some months we
25 should overearn, some months we should under-earn given

1 things like weather variation.

2 But when we're chronically under or
3 chronically over, that would suggest a problem that's a
4 little bit more pervasive than just weather.

5 Q. Hopefully the new information that was
6 requested will help in this regard, too.

7 A. We'll try.

8 COMMISSIONER STOLL: Okay. Thank you.

9 JUDGE WOODRUFF: Anything else from the
10 Commissioners? All right. We'll go back to recross based
11 on the questions, beginning with MIEC.

12 FURTHER RECROSS-EXAMINATION BY MR. DOWNEY:

13 Q. Ms. Barnes, I may have misheard you when
14 you were having a conversation with Chairman Gunn about
15 the weather from the last 12-month period.

16 A. Uh-huh.

17 Q. I thought you told him that the
18 unseasonably warm weather in the winter offset the
19 unseasonably warm weather in the summer for purposes of
20 sales.

21 A. In year to date 2012, for the first six
22 months of '12, that's correct. But you'll recall these
23 are 12-month numbers, and the last half of 2011, that was
24 not the case. Last July, last August, which are also
25 included in those numbers, the weather was unseasonably

1 warm as well, and those influences are included in these
2 numbers.

3 Q. Okay. And then I believe you said that the
4 calculation in Staff Exhibit 237 is not as -- well, I
5 think you said it differently. I think you said the
6 Baxter exhibit is more indicative of what the Commission
7 should consider than the calculation in Staff's
8 Exhibit 237. Did you say that?

9 A. That is what I said, yes.

10 Q. And as I understand it, one of the
11 differences between Staff's 237 calculation and
12 Mr. Baxter's is that Mr. Baxter counts as an expense the
13 Taum Sauk \$89 million expense, right?

14 A. I'd have to go back and look at his charts,
15 but I believe in some of those charts that is included as
16 an expense. I don't think it's taken out of all of them.

17 Q. Okay. And just so we're clear, accounting
18 101, if you have an expense in your calculation, you have
19 a lower income, right?

20 A. Yes.

21 Q. Okay. If you have a lower income, you have
22 a lower calculated ROE?

23 A. Yes.

24 Q. Okay. So that is one reason why we --
25 Mr. Baxter would have a lower calculated ROE than what

1 **Ameren calculated in Staff's Exhibit 237?**

2 A. Yes, although I believe he has charts that
3 do both ways. I think his charts in his surrebuttal
4 testimony actually try and factor in, as Mr. Byrne just
5 talked to the Commission about, he pulled that out of the
6 expense. He also pulled out the FAC disallowance that was
7 previously expensed, and he took out the Entergy refund
8 which was a one-time revenue. And pulling out all those
9 items that were not part of normal course, we still have a
10 situation where we're under-earning.

11 Q. I think this new exhibit that you're
12 preparing is probably going to help, but the thing that
13 you said that really struck me is that an exhibit that
14 doesn't pull out the Taum Sauk expense is more indicative
15 of what this Commission should consider than an exhibit
16 that doesn't include that expense, and should the
17 Commission really be considering expenses that it
18 disallows when it's determining what your appropriate ROE
19 is?

20 A. Well, again, I think there's several charts
21 in Mr. Baxter's testimony, and irregardless of which one
22 you look at, I think at the end of the day, whether you
23 include Taum Sauk or exclude it, it's still -- it still
24 suggests that we have not earned our allowed ROE. So I'm
25 not sure I want to dwell too much on the Taum Sauk

1 specifically because we've got charts that show that we're
2 under-earning even when you add Taum Sauk back. And those
3 are the charts that I think are more indicative of what
4 the actual earned return is.

5 Q. My concern, and I think it's probably the
6 Commission's concern, is that we're all confused about
7 what is added back. Even when you add back Taum Sauk, you
8 may not be adding back other things. And hopefully this
9 chart will straighten that out.

10 MR. DOWNEY: I have nothing further.

11 JUDGE WOODRUFF: Public Counsel.

12 FURTHER RECROSS-EXAMINATION BY MR. MILLS:

13 Q. Yeah, I'm going to have to ask some
14 questions about this chart, too. As I understand what
15 you're going to show, and you may depict it in different
16 ways, but you're going to have a month-by-month chart that
17 shows 12 months ending June 30th of 2012, correct?

18 A. I don't know if it's a month-by-month
19 chart, but I'm going to -- I'm going to try to reconcile
20 between Exhibit 237 and what's in Mr. Baxter's testimony
21 for the June 2012 period. That's what I'm going to
22 attempt to do. That's kind of what I heard, I thought I
23 heard that we were looking for.

24 Q. Okay. So at least -- and maybe by month
25 and maybe not by month, but at least for that year period

1 **you're going to have an explanation of the difference**
2 **between the 10.53 and whatever it is, the 9.85, and you're**
3 **going to break down exactly what the differences are and**
4 **exactly the amounts by basis point that those particular**
5 **differences affect that delta?**

6 A. I'm going to attempt to do that, I think,
7 yes.

8 MR. MILLS: Okay. I assume that we'll have
9 the opportunity to question about that chart.

10 JUDGE WOODRUFF: That would be my
11 anticipation also.

12 MR. MILLS: That may answer a lot of
13 questions. It may spawn some new ones.

14 JUDGE WOODRUFF: Mr. Byrne, it's your
15 understanding also you'll have a witness sponsor that
16 chart?

17 MR. BYRNE: Yes.

18 BY MR. MILLS:

19 Q. **Now, when we're talking about the Taum Sauk**
20 **expense, the Taum Sauk adjustment in the last rate case**
21 **was not an expense adjustment, it was a rate base**
22 **adjustment, correct?**

23 A. It resulted from an SEC perspective in
24 recording an expense. We actually recorded a charge for
25 the writeoff, for the reduction in rate base. That's the

1 way the accounting works.

2 Q. But it would not have been a \$90 million
3 writeoff, correct?

4 A. Pretax, it was.

5 Q. Because it was only \$90 million worth of
6 rate base.

7 A. That's right. I was lowering my rate base
8 by \$90 million. Under good accounting practice, if I
9 reduce something, I have to put it someplace else, and the
10 someplace else was an expense on the income statement.

11 Q. And so you're saying that a \$90 million
12 writeoff to rate base equated to a \$90 million expense in
13 one year?

14 A. Yes, it did. In 2011 we had a charge in
15 the third quarter for the entire \$90 million.

16 Q. Okay. And so for the rate base that you
17 put into your case for this case, how did you reflect the
18 Taum Sauk rate base?

19 A. It's out. The Taum -- well, the Taum
20 Sauk -- the \$90 million is out of the rate base, and we
21 then took that rate base number and increased or decreased
22 it for whatever changes in rate base, capital additions,
23 accumulated depreciation, everything else as if Taum Sauk
24 was never in that rate base, at least that 89 million or
25 90 million that was written off.

1 Q. Now, in response to a question by
2 Commissioner Kenney, one of the -- one of the things you
3 touched on in our answer was the question of mobile
4 substations, correct?

5 A. Yes.

6 Q. And in response to another question from
7 Commissioner Kenney, you referenced a cheat sheet that you
8 were looking at to work on his questions.

9 A. Uh-huh.

10 Q. What exactly is that cheat sheet?

11 A. I just have a list of some bullet points
12 that were things to help jog my memory.

13 Q. All about that question or just in general
14 about the topics you're testifying about?

15 A. In general about the topics that I'm
16 testifying about. That happens to be one of them.

17 Q. And with respect in particular to the
18 mobile substations, what has been the effect on
19 restoration times and outages from the lack of the extra
20 mobile substations that you would like to have?

21 A. I'm not a distribution expert, so I'm not
22 sure I can answer that as specifically as you would like.
23 I think the point is if we had more than one or two of
24 those, then we could locate them across our service
25 territory rather than having one maybe sitting in

1 St. Louis, and so clearly then the travel time of getting
2 that mobile sub to the place where the failure occurred
3 would be shortened if we've got one that's ready to go
4 that's closer to where the failure occurred.

5 Q. Sure. And if you had 500 of them, you
6 could put them all over the place?

7 A. Well, I think again we get back to cash
8 flow constraints and that we don't need 500 of them, but
9 we need probably more than the one or two that we have.

10 Q. And how much do they cost?

11 A. They're about a million to \$2 million
12 apiece.

13 Q. But it's your testimony that you don't know
14 the actual effect on restoration times of having another
15 few of them?

16 A. I'm not an operations expert. Mr. Wakeman,
17 who's our VP of energy delivery, will be testifying later
18 in this hearing, and that would be an excellent question
19 to ask him.

20 Q. Now, and this may -- this may come to light
21 when we look at the new chart that will be Exhibit 50, but
22 when you do weather normalization for purposes of a chart
23 like that, do you weather normalize billing units on a --
24 on what basis, on a monthly basis, on an hourly basis, a
25 daily basis?

1 A. I don't know. I don't personally do the
2 calculations, so I don't know all the details of exactly
3 how that's done.

4 Q. But that will be -- when we see Exhibit 50,
5 we will have information on how that was done to calculate
6 the effects of weather on that chart, correct?

7 A. I -- that actually wasn't -- that
8 specificity wasn't -- I was going to try and tell you how
9 much of the difference is related to weather. As far as
10 how that's calculated, again, I'm not the expert on how we
11 do that calculation, so I'm not sure I'll be able to
12 answer those questions as specifically as you'd like.

13 Q. Okay. Can we at least get a footnote that
14 says who did the weather normalization for purposes of
15 that?

16 A. Yes.

17 Q. Okay. I think that would be helpful
18 because I think there are different ways to do it, and
19 some may result in different numbers, and we may want to
20 explore that further.

21 A. It is an art.

22 MR. MILLS: That's all I have. Thank you.

23 JUDGE WOODRUFF: And for Staff?

24 MR. THOMPSON: Thank you.

25 FURTHER RECROSS-EXAMINATION BY MR. THOMPSON:

1 Q. I don't want to increase any frustration or
2 irritation on the part of the Bench, but I have some
3 questions about 237, if I could. You're not saying that
4 Exhibit 237 is false, are you?

5 A. No. I am suggesting that the way it's
6 prepared maybe isn't exactly how we should think about
7 whether or not we're earning or -- under-earning or
8 overearning against our authorized return.

9 Q. But it is true?

10 A. The data is -- comes from our statements.

11 Q. And you work every day with finances and
12 financial reporting; isn't that correct?

13 A. That's correct.

14 Q. And you would agree with me that financial
15 reporting is a way of marshalling and summarizing
16 financial data in order to report on it for some
17 particular reason to some particular audience?

18 A. Yes.

19 Q. Okay. And you make financial reports, for
20 example, to the Securities and Exchange commission?

21 A. Yes.

22 Q. And you make financial reports to this
23 Commission?

24 A. Yes.

25 Q. And you make financial reports to the FERC?

1 A. Yes.

2 Q. And probably to dozens of other audiences
3 as well for different reasons?

4 A. Yes.

5 Q. Okay. And each of those reports has its
6 own rules and formula as to how that information is to be
7 reported and proposed for that reporting purpose?

8 A. That's correct.

9 Q. Okay. And, of course, you scrupulously
10 follow those rules in each case of each report?

11 A. Yes.

12 Q. Okay. And so you would agree with me,
13 then, that just as Exhibit 237 is true and correct insofar
14 as that goes, that so are Mr. Baxter's charts?

15 A. Yes.

16 Q. They simply report the same information and
17 in some cases somewhat different information in a
18 different way?

19 A. Yes.

20 Q. For example, whether --

21 JUDGE WOODRUFF: Mr. Thompson, you need to
22 use your microphone.

23 MR. THOMPSON: I'm sorry.

24 BY MR. THOMPSON:

25 Q. For example, whether Taum Sauk is in or

1 **Taum Sauk is out, whether Entergy is in or Entergy is out,**
2 **or even just what 12-month period you're reporting?**

3 A. Yes. But just because we're following the
4 rules about how to report something, and those numbers may
5 be extremely accurate, when we're doing analysis, I think
6 you have to understand what you're looking at and whether
7 or not that report is providing you with the information
8 you need in order to make the -- do the analysis that you
9 want to perform ultimately.

10 **Q. Absolutely. So with respect to the Taum**
11 **Sauk disallowance and the Wabash/AEP disallowance, to the**
12 **extent that a chart showing Ameren Missouri's failure to**
13 **meet its authorized ROE does not add back those two**
14 **disallowances, then that chart would, in effect, be asking**
15 **for that money back, would it not?**

16 A. But the charts that are in Mr. Baxter's
17 surrebuttal testimony do reflect those appropriately,
18 not --

19 **Q. All of them?**

20 A. Uh-huh. I believe so.

21 **Q. All of the charts?**

22 A. Well, not all of the charts. I think the
23 ones that Mr. Byrne mentioned that are in Mr. Baxter's
24 surrebuttal testimony reflect the data with all of those
25 pulled out or added back, whatever the case may be, and

1 still suggested that we are not earning our authorized
2 return.

3 Q. Okay. And weather normalization, what do
4 you understand that to be?

5 A. It's trying to estimate what the impact of
6 our sales are in a given period that are related to
7 weather variations compared to a weather normalized level
8 of sales.

9 Q. Okay. And would you -- you would agree
10 with me, would you not, that when this Commission issues
11 its rate order and sets rates, that those rates are on a
12 prospective going-forward basis?

13 A. Yes.

14 Q. And you would agree with me that no one
15 knows what the weather is going to be during the first
16 year, let's say, that those rates will be in effect?

17 A. But the data that is used --

18 Q. Pardon me. Could you answer my question?
19 You would agree that no one knows going forward what the
20 weather will be when the rates are in effect?

21 A. Yeah, you're right, nobody will know.

22 Q. Okay. And Exhibit 237, however, is
23 historical, isn't it?

24 A. Yes.

25 Q. It reflects the effect of the rates and the

1 weather during an historical actual period; isn't that
2 true?

3 A. Yes.

4 Q. So this information is history?

5 A. Yes.

6 Q. There's no reason to weather normalize it
7 because history has weather that was what it was; isn't
8 that correct?

9 A. But if you're trying to compare the two
10 returns, one was prepared on the assumption that
11 weather -- an opinion of what normal weather was, and the
12 second one is prepared based on what weather is.

13 Q. Exactly. So if you're going to predict,
14 you're going to predict weather in the future, it's best
15 to rely, as do the weather normalizers, on a 30-year
16 average of each day's weather, isn't it?

17 A. To set rates, that's correct. So when
18 we're looking --

19 Q. Thank you. Thank you.

20 MR. THOMPSON: I have no further questions.

21 JUDGE WOODRUFF: Thank you, sir. Redirect.

22 FURTHER REDIRECT EXAMINATION BY MR. BYRNE:

23 Q. I agree with Chairman Gunn, this has not
24 been our finest hour. I think the problem we're having
25 here, correct me if I'm wrong, is the Commission's trying

1 to figure out if we over-earned or under-earned for the 12
2 months ending June 30th, 2012. Would you agree that
3 that's what they're trying to figure out?

4 A. Yes.

5 Q. Okay. And there's two starting points that
6 we've talked about that aren't necessarily consistent with
7 each other, one being the actual returns that are shown in
8 one of Mr. Baxter's charts, I'll get to that in a second,
9 and the second being the 10.53 percent return on equity
10 for the same period that we reported on our surveillance
11 report. That --

12 A. Yes.

13 Q. -- appears to be the problem; would you
14 agree with that?

15 A. I would agree with that.

16 Q. Okay. Let me ask you to start with each
17 one. Let's start with the -- let's start with the actual
18 earned return, which I believe for the -- not weather
19 normalized, no adjustment to it, the actual returns that
20 are financially reported, and I believe that would be
21 shown on Mr. Baxter's -- one of Mr. Baxter's schedules in
22 his surrebuttal testimony, the non-weather-normalized
23 Exhibit ES2.

24 A. I'm sorry. I don't have a copy of his
25 testimony.

1 Q. Okay. So there it is. So what does that
2 show the actual reported return for Ameren Missouri to be
3 with no adjustments to it?

4 A. It is below 9 percent. I don't know the
5 exact number, but --

6 COMMISSIONER KENNEY: Where are you
7 looking?

8 THE WITNESS: The June, so it's the --

9 COMMISSIONER KENNEY: June 2012?

10 THE WITNESS: Uh-huh. Second to last bar
11 on the ES2 schedule.

12 COMMISSIONER KENNEY: It's not below
13 9 percent, is it?

14 THE WITNESS: It's not below 9?

15 COMMISSIONER KENNEY: The red line is
16 the --

17 THE WITNESS: No. Look to the left at the
18 gauge. The red line's at 10.2, which is our allowed.

19 COMMISSIONER KENNEY: You're looking at
20 June 2012, right.

21 THE WITNESS: Uh-huh, which is the second
22 to last bar. Not the last bar. The second to last bar.

23 COMMISSIONER KENNEY: That's April. Oh,
24 it's June 2012. So what is this then?

25 THE WITNESS: July.

1 COMMISSIONER KENNEY: That's July. Okay.

2 BY MR. BYRNE:

3 Q. Okay. So that shows less than a 9 percent
4 return, right?

5 A. Yes.

6 Q. But there's some problems with that
7 depiction, would that be fair, that you've talked about
8 with some of the Commissioners; is that fair to say?

9 A. Yes.

10 Q. And I think there's about four or five
11 problems with that depiction, but -- but one problem, is
12 one problem with that depiction that it doesn't add back
13 in the disallowances for Taum Sauk and the fuel adjustment
14 clause?

15 A. Yeah. This is -- this is based on, I
16 believe, just looking at all the numbers at what the
17 actual numbers are, and so we would have taken a charge
18 for Taum Sauk and --

19 Q. So the Commission doesn't want us to say
20 our earnings -- gee, feel sorry for us, our earnings are
21 lower because you disallowed Taum Sauk or you disallowed
22 the fuel adjustment clause?

23 A. That's correct.

24 Q. And so would you agree that if you want to
25 really decide or take a view as to whether we're earning

1 or not earning our authorized return during that period,
2 you've got to add those disallowances back, don't you?

3 A. Yes.

4 Q. Okay. And then another issue that we
5 talked about was Entergy.

6 A. Yes.

7 Q. And as I understand it, that the results
8 that Mr. Baxter showed, the less than 9 percent, include
9 the Entergy refund; is that correct?

10 A. Yes, that's correct.

11 Q. And I think you've testified before, it's
12 not appropriate to determine whether we're over or
13 under-earning based on a one-time Entergy check?

14 A. Agreed.

15 Q. Would you agree with that?

16 A. I do agree with that.

17 Q. So is there any chart in Mr. Baxter's
18 testimony that adds back in the disallowances for Taum
19 Sauk and the FAC and takes out the Entergy and doesn't
20 weather normalize?

21 A. I believe that's ES4.

22 Q. Okay.

23 A. So if you look at chart ES4, it says it is
24 not weather normalized and it accounts for unusual items
25 in 2011-2012, and those unusual items were the ones that

1 we just talked about.

2 Q. What does that show that our earnings for
3 the 12 months ending June 2012?

4 A. It shows it close to 10 but still below the
5 10.2. I don't know the exact number. I'm just looking at
6 the chart here.

7 Q. Okay. And then is there another chart that
8 shows that data on a weather normalized basis?

9 A. Yes. That is chart ES3.

10 Q. And what does that show the earnings to be
11 on a weather normalized basis?

12 A. That shows 2012, June 2012 to be between 9
13 and 10, certainly not over 10.2, and that's probably the
14 most comparable as I think about how rates were set to set
15 the 10.2. This reflects apples to apples as best I think
16 as we have.

17 COMMISSIONER KENNEY: That WLB-ES3?

18 THE WITNESS: Yes.

19 BY MR. BYRNE:

20 Q. So that's starting with Mr. Baxter's number
21 and working -- making adjustments to it to make it
22 comparable on a --

23 A. Yes.

24 Q. Okay. Let's try going the other way.
25 Let's try starting with the surveillance report. Okay.

1 And my understanding is, based on your testimony before,
2 the surveillance report already has the Taum Sauk
3 disallowance added back in; is that correct?

4 A. Yes, that's correct.

5 Q. And what about the -- what about the FAC
6 disallowance, would that have any impact on this?

7 A. Not for June because that adjustment was
8 made in April, I believe, of 2011, so it would be out of
9 the 12-month period that we're looking at for the 12
10 months ended June 30, 2012.

11 Q. Okay. So the 10.53 percent has the Taum
12 Sauk disallowance added backed in, and the FAC
13 disallowance didn't fall in the period, so it doesn't have
14 any impact either way?

15 A. Right. That's correct.

16 Q. So you could say 10 -- if you stop there,
17 you could say 10.53 is the amount that we earned, right?
18 But --

19 A. Uh-huh.

20 Q. But do you think -- I mean, as I understand
21 it, you're saying that's not a fair representation. So
22 why isn't that a fair representations. What additional
23 adjustments would you have to make to that 10.53 to make
24 it really tell you meaningful information about whether
25 we're over-earning or under-earning?

1 A. Again, if you're trying to get to apples to
2 apples, the Entergy refund is in the actual numbers, but
3 is a one-time unusual event, and so that increased our
4 allowed return for that period of time. So you would take
5 that out because that wouldn't have been contemplated in
6 the authorized return, and you've got this weather.
7 There's weather in our numbers. If the authorized return
8 was based on a weather normalized basis, then that would
9 also impact the differences there.

10 **Q. Entergy is called a refund?**

11 A. That's correct.

12 **Q. Why is it a refund rather than just a**
13 **payment?**

14 A. Because the -- the company under the
15 contract we had with Entergy during the period 2007 to
16 2009, we paid Entergy those amounts, and FERC then ordered
17 Entergy to refund those amounts back to us as they felt
18 those were inappropriately charged by Entergy.

19 MR. BYRNE: I think that's all the
20 questions I have. Thank you, Ms. Barnes.

21 JUDGE WOODRUFF: All right. Then you can
22 step down.

23 THE WITNESS: Thank you.

24 JUDGE WOODRUFF: It's now 12:30, and I've
25 heard whisperings out in the audience or among the

1 attorneys out there that there's some depositions going on
2 this afternoon. Have we got that covered? How do we want
3 to deal with the rest of this issue today? Anybody want
4 to be heard?

5 MR. DOWNEY: I'll be heard. I need to be
6 here for Mr. Brosch both on this issue and the next issue,
7 which is income tax. I am supposed to be taking a
8 deposition at three and defending a deposition at three,
9 and I've been thinking, and I don't have a solution to the
10 problem yet. I'm going to see if a colleague can handle
11 the depositions. I haven't talked to her yet.

12 JUDGE WOODRUFF: Well, let's go ahead and
13 take our lunch break now. We'll come back at 1:30, and
14 Mr. Brosch will be on the stand then.

15 (A BREAK WAS TAKEN.)

16 JUDGE WOODRUFF: We're back from lunch, and
17 let's go ahead and get started. Mr. Brosch has taken the
18 stand. Please raise your right hand.

19 (Witness sworn.)

20 JUDGE WOODRUFF: Thank you. You may
21 inquire.

22 MR. DOWNEY: Thank you.

23 MIKE BROSCHE testified as follows:

24 DIRECT EXAMINATION BY MR. DOWNEY:

25 Q. Mr. Brosch, are you the same Mike Brosch

1 **who testified last Thursday?**

2 A. I am, yes.

3 **Q. And was your testimony offered and received**
4 **on Thursday?**

5 A. I believe it was, yes.

6 **Q. And was that Exhibit 500, 501 and 502?**

7 A. I believe so.

8 MR. DOWNEY: Okay. I would tender the --
9 all of that testimony's been received. I would tender the
10 witness for cross and encourage counsel and the Commission
11 to freely ask questions.

12 JUDGE WOODRUFF: Okay. Thank you. I
13 didn't need to swear you again a second time, but now
14 you're doubly promising.

15 THE WITNESS: As it should be.

16 JUDGE WOODRUFF: Okay. For
17 cross-examination, then, we begin with, looks like, Public
18 Counsel.

19 MR. MILLS: No questions.

20 JUDGE WOODRUFF: For Staff?

21 MR. THOMPSON: No questions.

22 JUDGE WOODRUFF: For Ameren?

23 MR. BYRNE: No questions.

24 JUDGE WOODRUFF: We'll come for questions
25 from the Bench.

1 COMMISSIONER JARRETT: No questions.

2 JUDGE WOODRUFF: All right. I have no
3 questions. You will be staying in the room, I assume,
4 during the hearing? I'm concerned some of the other
5 Commissioners haven't gotten down here yet.

6 THE WITNESS: I'm here for the income tax
7 issue as well later.

8 JUDGE WOODRUFF: We may ask you questions
9 at that point. You can step down.

10 THE WITNESS: Thank you.

11 JUDGE WOODRUFF: And the other MIEC witness
12 is Mr. Gorman. I think he will be here on Friday.

13 MR. DOWNEY: That is correct.

14 JUDGE WOODRUFF: We'll move to John Cassidy
15 for Staff. If you'd please raise your right hand.

16 (Witness sworn.)

17 JUDGE WOODRUFF: Thank you. You may
18 inquire.

19 JOHN CASSIDY testified as follows:

20 DIRECT EXAMINATION BY MR. THOMPSON:

21 Q. State your name, please.

22 A. John Cassidy.

23 Q. Could you spell your last name for the
24 reporter, please.

25 A. C-a-s-s-i-d-y.

1 Q. Mr. Cassidy, how are you employed?

2 A. I'm a Utility Regulatory Auditor 5 with the
3 Missouri Public Service Commission.

4 Q. Mr. Cassidy, did you prepare or cause to be
5 prepared certain items of testimony and schedules? I have
6 quite a list here, Exhibit 200, which is your direct
7 testimony?

8 A. Yes.

9 Q. And Exhibit 201 and 202, which are the
10 Staff cost of service revenue requirement report NP and HC
11 respectively?

12 A. Yes.

13 Q. And you contributed to that report?

14 A. Yes.

15 Q. And supervised its preparation?

16 A. That is correct.

17 Q. And then Exhibit 203, which is the Staff
18 accounting schedules?

19 A. Yes.

20 Q. And Exhibit 208, which is your rebuttal
21 testimony?

22 A. Yes.

23 Q. And Exhibit 234, which is your surrebuttal
24 testimony, also NP and HC?

25 A. That's correct.

1 Q. Now, do you have any corrections for any of
2 those things?

3 A. I do not.

4 Q. And if I were to ask you the same questions
5 today, would your answers be the same?

6 A. Yes, they would.

7 Q. And is the information contained in those
8 items of testimony true and correct to the best of your
9 knowledge and belief?

10 A. Yes, they are.

11 MR. THOMPSON: At this point, your Honor, I
12 will offer Exhibits 200, 203, 208 and 234, and we will
13 offer the revenue requirement cost of service report at
14 the end when all of the contributors have testified.

15 JUDGE WOODRUFF: All right. So 200 has
16 been offered as well as 208 and 203, and then also 234,
17 and actually 235HC is also the surrebuttal. That's the
18 way I have it on the schedule here. Those have all been
19 offered.

20 MR. THOMPSON: You're right. I apologize.

21 JUDGE WOODRUFF: Any objections to their
22 receipt?

23 (No response.)

24 JUDGE WOODRUFF: Hearing none, they will be
25 received.

1 (STAFF EXHIBIT NOS. 200, 203, 208, 234 AND
2 235HC WERE RECEIVED INTO EVIDENCE.)

3 MR. THOMPSON: Thank you. I tender the
4 witness.

5 JUDGE WOODRUFF: For cross-examination,
6 then, we begin with MIEC.

7 MR. DOWNEY: No questions.

8 JUDGE WOODRUFF: And for Public Counsel?

9 MR. MILLS: No questions.

10 JUDGE WOODRUFF: For Ameren?

11 MR. BYRNE: Just a few.

12 CROSS-EXAMINATION BY MR. BYRNE:

13 Q. Good afternoon, Mr. Cassidy.

14 A. Good afternoon.

15 Q. My understanding is that you testified that
16 the company's calculation of costs under its plant in
17 service accounting proposal is flawed because it doesn't
18 take into account the potential for savings and operations
19 in maintenance expense associated with replacing old plant
20 with new plant; is that true?

21 A. Yes. I recall that.

22 Q. And -- but isn't it also true that you
23 haven't provided any evidence as to what those O&M savings
24 would be or even for sure if they would exist; is that
25 fair to say?

1 A. Not specifically in my testimony. However,
2 I've reviewed some maintenance costs since filing my
3 testimony.

4 Q. Isn't it possible that the increases in the
5 O&M costs from the rest of the company's aging
6 infrastructure would more than offset any savings in O&M
7 cost resulting from plant replacements?

8 A. I don't know.

9 Q. Isn't it true that if new plant is
10 installed that's not a replacement for any plant that's
11 being retired, that it could have incremental new O&M
12 expenses?

13 A. It's possible.

14 Q. Isn't that true, for example, with the
15 Sioux scrubbers where we installed new scrubbers; is that
16 correct?

17 A. Yes.

18 Q. And there was some additional operations
19 and maintenance expenses associated with those scrubbers
20 that didn't exist before; isn't that true?

21 A. That's true.

22 Q. And I'm assuming you haven't done any study
23 to consider all those possible ramifications for O&M
24 expenses?

25 A. I have not.

1 Q. And so would it be fair to say you don't
2 know whether O&M costs would go up or go down or stay the
3 same if the Commission adopted plant in service
4 accounting?

5 A. In total, I don't know.

6 Q. Okay. What's the logic in your mind for
7 allowing the company to have a return on plant that's
8 under construction but not allowing a return after the
9 plant goes into service?

10 A. I assume you're speaking to the point in
11 time that once it -- on this chart, once it goes into
12 service, that the AFUDC ends?

13 Q. Correct.

14 A. And that is part of the regulatory lag that
15 exists with putting investment in service, and I think the
16 balance there is that, you know, I think that what the
17 company's trying to do with its proposal, this piece of
18 proposal is shift that risk from the company on to,
19 directly on to the ratepayers.

20 Q. That's not what -- that wasn't my question
21 really. I guess my question is, why is it logical to have
22 a return before the plant goes into service but then no
23 return after the plant goes into service? Why is that
24 logical, is my question?

25 A. Once it's in service, then the -- the

1 construction has stopped and so there's no longer a need
2 to continue to accrue AFUDC on that construction.

3 Q. Well, let me ask --

4 A. Then at that point it's incumbent upon the
5 company to determine whether it needs to file a rate case
6 to address those costs that they've put into service.

7 Q. When Ms. Barnes was on the witness stand,
8 we were talking about trying to figure out if the
9 company's earnings were above or below its authorized
10 return. Were you here for that discussion?

11 A. Yes, I was.

12 Q. Would you agree with me that in order to
13 figure out if the company's earnings are above or below
14 the authorized return, it would be appropriate to exclude
15 the Entergy check from those calculations?

16 A. Yes. That's one way of looking at it on a
17 regulatory basis.

18 Q. And would you agree with me that it would
19 be appropriate to weather normalize the results?

20 A. Yes.

21 MR. BYRNE: Thank you. I have no other
22 questions.

23 JUDGE WOODRUFF: Then we'll have questions
24 from the Bench. Mr. Chairman?

25 QUESTIONS BY CHAIRMAN GUNN:

1 Q. In opening statements Mr. Thompson said
2 that one of the main reasons, if not the reason, why Staff
3 was against plant in service accounting was there was no
4 reduction in risk or no adjustment to the ROE. There was
5 a reduction in risk, but there was no commensurate
6 reduction in the ROE. Has Staff or does Staff quantify
7 what that should be based upon the proposal put forward by
8 Ameren?

9 A. I haven't attempted to quantify that, but
10 Staff witness David Murray is also scheduled to testify on
11 Friday, so he may have some insight into what that
12 quantification might be.

13 Q. So some reduction of risk, but you don't
14 know what basis point that translates to?

15 A. I do not know that magnitude.

16 CHAIRMAN GUNN: Okay. That's all I have.
17 Thank you.

18 JUDGE WOODRUFF: Commissioner Jarrett?

19 QUESTIONS BY COMMISSIONER JARRETT:

20 Q. Good afternoon.

21 A. Good afternoon.

22 Q. Were you here when I had a conversation
23 with Ms. Barnes about several issues?

24 A. Yes, I was.

25 Q. You were in the hearing room the entire

1 time. One of those issues I asked her about was the
2 differences and similarities between this plant in service
3 accounting plan and a tracker. Can you tell me what are
4 some -- what are the differences and similarities between
5 Ameren's proposal and a tracker?

6 A. I view Ameren's pro-- Ameren Missouri's
7 proposal as being more like an AAO with a little bit of
8 ISRS flavoring to it, and I think that it's attempting to
9 recover all of those -- defer all of its investments
10 that's non-revenue-producing for inclusion in a subsequent
11 rate case.

12 Part of the problem with the proposal is,
13 in that light, is that the company really has not offered
14 any explanation for how or what non-revenue-producing
15 investments should be included, and here's one of the
16 dilemmas associated with this proposal. For example, if
17 the company were to replace a large transmission line,
18 that transmission line might allow it to push more power
19 across, you know, its borders and be able to sell more
20 off-system sales revenue than it would absent the
21 replacement of that transmission line. Should that be
22 included in this piece of proposal or not? If it's
23 increasing off-system sales, I would say no. But these
24 types of questions aren't answered in the company's
25 proposal.

1 Q. So I guess I'm still trying to get the
2 answer. So you couldn't just call this a tracker because
3 it's not a tracker. What's the attributes that make it
4 not like a tracker?

5 A. Well, a tracker would be something that
6 would gear off of a base level. Whereas, this is more of
7 let's just defer everything one way. A tracker could have
8 a two-way element to it. This is just one way. It's just
9 let's look at all of the non-revenue-producing investment
10 and determine what amount of depreciation or return was
11 associated with that, net it with retirements that might
12 occur during the same time frame and then just defer that
13 for a subsequent recovery in another rate case.

14 Q. When you say there's no -- you know,
15 there's no criteria for what goes in and what goes out,
16 doesn't that all get sorted out then in the next rate
17 case? I mean, they get to defer whatever they defer, and
18 then at the next rate case it gets all sorted out. If
19 they improperly defer something, then they don't get to
20 recover that.

21 A. That's true, but it's a significant burden
22 upon the Staff and other parties to sort through all of
23 that at that time.

24 COMMISSIONER JARRETT: I don't think I have
25 any further questions. Thank you.

1 JUDGE WOODRUFF: Commissioner Kenney?

2 QUESTIONS BY COMMISSIONER KENNEY:

3 Q. Mr. Cassidy, how are you?

4 A. Just fine.

5 Q. Thanks for being here with us. You were in
6 the room for the whole discussion of Staff Exhibit 237?

7 A. Yes, I was.

8 Q. And it's attached to your surrebuttal
9 testimony?

10 A. A version of it is, yes.

11 Q. So I'm going to ask you some questions
12 about that, too. I'm sure it's the topic of everyone's
13 consternation.

14 A. Okay.

15 Q. Do you have a copy of your surrebuttal
16 testimony?

17 A. Yes, I do.

18 Q. And it's designated as HC, and I think it's
19 designated as HC because of A version of that Staff
20 Exhibit 237.

21 A. Yes.

22 Q. But then since that has been declassified,
23 it's not HC anymore, correct?

24 A. That's correct.

25 MR. THOMPSON: Commissioner, the thing

1 that's declassified is the version that was attached to
2 the company's response to Staff's Motion to Declassify.

3 COMMISSIONER KENNEY: Which was a
4 correction to the exhibit on Mr. Cassidy's.

5 MR. THOMPSON: That's correct.

6 COMMISSIONER KENNEY: I'm going to get to
7 that. Bear with me.

8 BY COMMISSIONER KENNEY:

9 Q. So the document that was attached to your
10 testimony had a different figure, and I guess can I
11 discuss those figures? That's the question I want to get
12 at.

13 MR. BYRNE: Your Honor, we -- we did ask
14 that it be maintained HC just because it's the wrong
15 figure.

16 COMMISSIONER KENNEY: Let's go in-camera
17 just for a second because I want to ask about it.

18 JUDGE WOODRUFF: We'll go in-camera at this
19 time.

20 MR. MILLS: Judge, just for the record, I
21 don't believe that being wrong is a basis under the
22 Commission's rule as to classify something as highly
23 confidential. So I don't -- I mean, you've gone
24 in-camera.

25 COMMISSIONER KENNEY: I would agree with

1 you, but they're saying they've asked for it to remain
2 classified because it was a wrong number, but I don't --

3 MR. MILLS: But I don't think that's an
4 appropriate basis for such a classification under the
5 Commission's rules. There are five things in the
6 Commission's rules that allow you to claim something
7 highly classified. Making a mistake is not one of them.

8 MR. BYRNE: Your Honor, Mr. Mills is right.
9 Let's go out of camera. We did assert it was highly
10 confidential.

11 JUDGE WOODRUFF: I'm not sure we were ever
12 in-camera. I'll make sure that we were out of camera and
13 I'll get us back in regular session here.

14 Okay. For the benefit of the people
15 watching, after I muted we had a further discussion which
16 is on the record that indicated that Ameren is no longer
17 claiming highly confidential protection for the document
18 that the Commissioner is asking about, so we are back in
19 regular session. Proceed.

20 BY COMMISSIONER KENNEY:

21 Q. All right. Thank you. So there was a lot
22 of discussion about the surveillance report.

23 A. Yes.

24 Q. And I want to ask you a few questions about
25 it because it formed the basis of some of your testimony.

1 And this all revolves around whether or not Ameren has
2 chronically under-earned or failed to achieve its
3 authorized ROE, and the relevance of that fact is that
4 forms the basis at least in part for their request of the
5 plant in service accounting.

6 So I want to discuss your understanding of
7 their authorized ROE and then also your understanding of
8 what's contained in the surveillance report, because as I
9 understand it, the surveillance report is compiled based
10 upon the Commission's request. So I want to ask a few
11 questions about that.

12 So if we look at page 6 of your testimony,
13 and you refer to JPC-SUR-1.

14 A. Right.

15 Q. It's beginning on line 3.

16 A. Okay.

17 Q. And I want to make sure I understand that
18 what was attached to your testimony contained an incorrect
19 figure regarding Ameren's actual earned ROE of
20 11.52 percent, right?

21 A. Yes.

22 Q. And that's about 99 basis points higher
23 than the corrected version, correct?

24 A. That's correct.

25 Q. Other than that difference, was there any

1 other difference between what was attached to your
2 testimony and the corrected document that's attached to
3 Staff Exhibit 237?

4 A. That was the only change they made.

5 Q. Was it clear to you how that error was
6 made?

7 A. Yes. Subsequent to the filing of this
8 11.52 number in EFIS, company filed a corrected version
9 and indicated that it had to do with an incorrect booking
10 related to Taum Sauk. So they made an adjustment to
11 remove this Taum Sauk disallowance totally from the 11.52
12 calculation -- the 11.52 calculation to bring it down to
13 the 10.53 calculation that they're at now.

14 Q. So the original 11.52 didn't reflect the
15 Taum Sauk disallowance?

16 A. The 11.52 did not have that pulled out of
17 it.

18 Q. I see. So the 10.53 has that disallowance
19 added back in?

20 A. It has all of that Taum Sauk disallowance
21 adjusted out of it.

22 Q. So it's about a \$90 million disallowance,
23 which translates into an expense which has the effect of
24 lowering the ROE?

25 A. Yes. But as Mr. Weiss explained earlier,

1 that, you know, in testimony when he explained his
2 numbers, the part that -- the part of the 90 million was
3 booked below the line and part of it was booked above the
4 line, and this adjustment just reflected what they had
5 booked above the line.

6 Q. So not the whole 90 million?

7 A. So it wasn't the whole amount.

8 Q. So the change, the 99 basis points isn't
9 because of adding back in the entire \$90 million from the
10 disallowance but some portion of that disallowance?

11 A. Yes.

12 Q. How much of it?

13 A. Mr. Weiss stated something along -- I'm
14 just recalling from his testimony earlier it was something
15 in the neighborhood of 50 million or something.

16 Q. Do you agree with how Mr. Weiss arrived at
17 his number?

18 A. I don't have any reason to disagree with
19 those calculations.

20 Q. You didn't independently verify it?

21 A. I don't have a lot of backup supporting
22 documentation to support the calculation, but I don't have
23 any reason to disbelieve it.

24 Q. All right. So the 10.53 as reflected in
25 the surveillance report has the Taum Sauk allowance added

1 **back in, but as you heard Ms. Barnes say earlier today, it**
2 **does not have the Entergy refund deducted?**

3 A. That's correct. But there are other
4 factors that also have not been removed from the 10.53
5 number.

6 **Q. That should be?**

7 A. Yes.

8 **Q. Such as?**

9 A. The company hasn't excluded incentive
10 compensation that would be normally disallowed or removed
11 from the cost of service that pertained to earnings per
12 share driven incentives. So that's approximately
13 \$15 million. In this 12-month ending June number, there
14 was a Callaway refueling that occurred in the fall of '11,
15 October or November of 2011. This refueling only happens
16 on an 18-month basis, so you have to normalize those
17 costs. So a third of that refueling is worth another
18 12 and a half million.

19 **Q. And that wasn't --**

20 A. That was not removed. Any amounts of
21 institutional advertising have not been removed from this
22 number, any amount of lobbying expense and on and on it
23 goes. Also, it did not reflect any inclusion for this
24 \$200 million plus rate increase that's pending as well.

25 **Q. So is it fair to say that you could make**

1 any number of adjustments to this 10.53 percent ROE that's
2 reflected in the surveillance report to either move the
3 ROE up or down?

4 A. That's fair.

5 Q. What is -- let me back up. I think the
6 testimony that we heard earlier was that the surveillance
7 report is something that's prepared for the purposes of
8 the Commission?

9 A. That's correct.

10 Q. What is it that the Commission is trying to
11 determine in requesting this information that's reflected
12 in the surveillance report?

13 A. I'm not certain why the surveillance was
14 originally authorized or required, but I would suspect it
15 has to do something with whether or not if the company is
16 continuously overearning, then maybe there would be some
17 consideration of whether or not the FAC should continue.

18 Q. So the purpose of this report, though, is
19 to determine what the company's ROE is for purposes of
20 making regulatory determinations; is that right?

21 A. I would say it gives us a benchmark of what
22 they're actually earning on their actual books.

23 Q. And would you expect that you would need to
24 take this number and then make additional adjustments to
25 it to either weather normalize it or to extract out

1 **one-time unusual occurrences to come up with a different**
2 **ROE?**

3 A. I would say it depends on what you're
4 looking at the number and what you're wanting to use it
5 for.

6 Q. **And what were you using it for in your**
7 **testimony?**

8 A. To show that company actually had achieved
9 its authorized ROE for this most current period that they
10 had reported.

11 Q. **Because why? What were you trying to**
12 **demonstrate at that time?**

13 A. Well, that company, there's a lot of
14 complaints that they haven't achieved their ROE, but this
15 report would show that they had, but you can also make the
16 argument that you need to adjust it for ratemaking or
17 regulatory purposes for other items.

18 Q. **So can we -- can this number -- I guess**
19 **I'll ask it the same way I asked Ms. Barnes. What's the**
20 **value of this report if it requires additional adjustments**
21 **for ratemaking purposes? Or in other words, is it fair to**
22 **use this number to determine whether the company has or**
23 **has not achieved its ROE?**

24 A. I would say it's fair to use this number
25 because this is actually what company is earning.

1 Q. Even if it's not -- what if it's not
2 weather normalized historically?

3 A. I think that's irrelevant in terms of their
4 actual experience.

5 Q. Because using weather normalization for the
6 purposes of setting rates is entirely different than
7 applying some type of weather normalization formula to
8 historical data?

9 A. I agree, yes.

10 Q. And if you're looking at what actually
11 occurred, would there be any reason to weather normalize
12 that?

13 A. No.

14 Q. So even if you take the -- at face value
15 what Ameren has told us and take the 10.53, take out the
16 \$36 million Entergy refund because it's a one-time thing,
17 assuming that that equates to 30 basis points, you arrive
18 at 10.23 for that period. Does that still demonstrate
19 that they have or have not achieved their ROE?

20 A. I would say it still demonstrates that
21 they've earned their authorized ROE.

22 Q. All right. I want to ask a question more
23 particularly about the plant in service accounting and
24 using this chart, and I think it was a point that
25 Ms. Barnes made, that during the time that the plant is

1 under construction, that the company is allowed to accrue
2 its return on capital at the AFUDC rate; is that right?

3 A. Yes.

4 Q. And then once the plant's placed in
5 service, AFUDC accrual stops?

6 A. That's correct.

7 Q. Why is that fair? Why shouldn't they
8 continue to accrue that at that rate until the plant is
9 actually -- until new base rates are set?

10 A. Well, AFUDC is, the purpose of that is to
11 allow the company some return on its investment while it's
12 actually constructing the investment, and then once it's
13 in service, then the company can choose to come in for a
14 rate increase if it thinks the cost is, you know, it
15 reaches the threshold to trigger the need to file a rate
16 increase, but that's also in consideration of all the
17 other relevant factors.

18 Q. But why allow them to earn a return before
19 the plant is actually placed in service --

20 A. Well --

21 Q. -- and have the AFUDC accrue not during
22 that time when it actually is placed in service?

23 A. Part of the problem is that the Staff will
24 not have had an opportunity to audit those costs to
25 determine if they were prudent, reasonable, that they were

1 not excessive in some manner. So those costs are
2 literally unaudited and unknown. There's not some
3 determination of whether they're good or not.

4 Q. But if -- and the PISA would still not
5 make -- would not require a determination of the prudence
6 of the expenditures or not. It's just allowing a
7 regulatory asset to be created. There would still be an
8 opportunity to review the prudence, correct?

9 A. That's correct. But part of the problem
10 also is that that's part of the normal business risk that
11 Ameren Missouri has in making investments, and to -- to
12 start allowing them to earn return and depreciation
13 exactly at the point that they put the investment in
14 service effectively transfers the risk from Ameren
15 Missouri to the ratepayer.

16 Q. And I'm actually putting aside the recovery
17 of the depreciation expense. I'm just trying to
18 distinguish between why we would allow AFUDC before the
19 plant's in service and not continue to allow it to be
20 accrued up and through the time that new rates are set?

21 A. That's per FERC USOA rules. I mean, that's
22 the way it's required to be reported.

23 Q. The AFUDC component?

24 A. Yes.

25 Q. But I mean, ultimately wouldn't this just

1 **be an extension of the AFUDC accrual, putting aside the**
2 **depreciation expense?**

3 A. I guess the return portion could be viewed
4 that way.

5 Q. **If it were at the same rate as the AFUDC?**

6 A. Yes, if it was closely matched.

7 Q. **Would it be -- would that be unfair?**

8 A. Yes, in my mind, without a corresponding
9 reduction in ROE.

10 Q. **Okay. So because you've at that point**
11 **reduced their business risk or you've shifted business**
12 **risk from the shareholders to the ratepayers, right?**

13 A. Yes.

14 Q. **How do you quantify what that reduction in**
15 **ROE should be? I know you haven't done it, but is there a**
16 **mechanism by which we can figure out how to appropriately**
17 **account for that reduced business risk?**

18 A. I don't know personally.

19 COMMISSIONER KENNEY: All right. I don't
20 have any other questions. Thanks for your time.

21 JUDGE WOODRUFF: Commissioner Stoll?

22 COMMISSIONER STOLL: I have no questions.

23 JUDGE WOODRUFF: Mr. Chairman?

24 FURTHER QUESTIONS BY CHAIRMAN GUNN:

25 Q. **I apologize for coming back, but I have a**

1 couple different questions. So with that reduction in
2 risk that Commissioner Kenney was just talking to you
3 about, that would be different depending on when the
4 true-up cutoff was or, for example, if you -- if you got a
5 plant in service and it was included and a case settled
6 and rates were then implemented a month after the
7 settlement, you'd only have a month of lost carrying
8 charges, correct?

9 A. Yes. That would mitigate that five-month
10 period that Ameren Missouri complains about.

11 Q. So is that five-month period the -- I mean,
12 I guess it all depends on when you file a rate case and
13 then where the rate case is resolved?

14 A. It's kind of a balance of when is the
15 investment put in service, when have they filed their
16 case.

17 Q. And that's where we talked about how these
18 blue lines and red lines don't represent any kind of
19 specific time structures. They can shift back and forth
20 depending upon the particular circumstances?

21 A. Yes. That's correct.

22 Q. And I want to go back to this Exhibit 237,
23 too, because I got more confused by some of the questions.
24 So -- and I just -- you were in here for Ms. Barnes'
25 testimony, right?

1 A. Right.

2 Q. So are you -- are you agreeing with her in
3 terms of what everybody believes that the Taum Sauk
4 whatever it is, whether it's in or out or partially in or
5 partially out, because I thought I heard you say that this
6 10.53 has already been adjusted down in order to take Taum
7 Sauk into account?

8 A. Yes. I mean, I think when they filed the
9 11.52, that had some Taum Sauk numbers in it that were
10 associated with the piece that needed to be removed
11 because it had been disallowed. And so company
12 erroneously filed that filing with that included in there,
13 and so then they made some adjustments to take into
14 account the tax impact associated with that, which was
15 charged above the line, and they removed that, and by
16 doing so that took their return calculation down from
17 11.52 to 10.53, and then now Taum Sauk is not a factor in
18 the 10.53. I think that's where Ms. Barnes is as well.
19 And then she's saying, on top of that, you need to adjust
20 for Entergy and weather.

21 Q. Right.

22 A. But then I have these other factors.

23 Q. So you believe that -- you agree with her
24 that this 10.53 doesn't handle Taum Sauk the way it should
25 be handled?

1 A. Yes.

2 Q. And so you wouldn't make any further
3 adjustments to this 10.53 for Taum Sauk? It's been
4 handled in the 10.53?

5 A. Yes.

6 Q. And then just to be clear, you agree that
7 the Entergy refund is not -- has not been dealt with in
8 this number?

9 A. That's correct.

10 Q. But there may be enough offsetting credits
11 to that Entergy or -- and I use credits not as -- I use it
12 in my own head to describe what they are --

13 A. I understand.

14 Q. -- to offset --

15 A. Offsetting factors.

16 Q. To offset that Entergy refund?

17 A. Yes.

18 Q. And so if the company said, well, we'd have
19 to deal with the Entergy in one way, you say okay, that's
20 fine, but then you've got A, B, C and D that probably
21 should also stay out or come in depending on what it is?

22 A. That's correct.

23 Q. So it is your opinion that the 10.53 has
24 been at least adjusted enough that all the competing
25 adjustments are -- have been dealt with, either they're

1 all in or they're all out, and you wouldn't need to do
2 anything further to this 10.53?

3 A. I'd say that's fair.

4 CHAIRMAN GUNN: All right. Thank you. I
5 don't have anything further.

6 JUDGE WOODRUFF: Go to recross based on
7 questions from the Bench beginning with MIEC.

8 MR. DOWNEY: Just a couple.

9 RECROSS-EXAMINATION BY MR. DOWNEY:

10 Q. I want to follow up on that last line of
11 questioning. You had listed incentive compensation as a
12 \$15 million issue.

13 A. Yes.

14 Q. Callaway refueling as a 12 and a half
15 million dollars issue. Then you indicated that there was
16 some issue about institutional advertising and lobbying,
17 but you didn't assign dollar values to that?

18 A. I would say there's approximately a million
19 dollars of institutional advertising, and at least
20 \$100,000 of lobbying costs.

21 Q. Okay. So Ameren has pointed out an
22 adjustment, the Entergy adjustment that it would make, but
23 these other adjustments would offset that?

24 A. Yes.

25 Q. So then we're just left with weather

1 **normalization?**

2 A. Yes.

3 **Q. And you think the 10.53 ROE figure is a**
4 **good figure?**

5 A. I would say so. You know, and the company
6 experienced a rather warm winter, so that mitigated some
7 of the warm weather they experienced this past summer,
8 too.

9 MR. DOWNEY: Thank you.

10 JUDGE WOODRUFF: Public Counsel?

11 RE CROSS-EXAMINATION BY MR. MILLS:

12 **Q. Yeah. And I hate to beat on this drum some**
13 **more, but the Exhibit 237, the change between the number**
14 **that was filed with your testimony and Exhibit 237 is**
15 **roughly 99 basis points, correct?**

16 A. Yes.

17 **Q. And it's your understanding that that**
18 **entire change is due to a reflection of the tax impact of**
19 **the Taum Sauk disallowance from above the line to below**
20 **the line; is that correct?**

21 A. Yes. There was a filing that summarized
22 that impact in the -- in the FAC surveillance that
23 summarized that correction.

24 **Q. Okay. Is that filing in the record in this**
25 **case?**

1 A. It is not.

2 Q. In terms of revenue dollars, revenue coming
3 into the company, how much revenue does it take to move
4 the return on equity 99 basis points?

5 A. A basis point is worth \$540,000, so I don't
6 have -- I could do the calculation, I guess. I'd say 99
7 basis points is worth approximately \$53 million.

8 Q. So there was a \$53 million beneficial Taum
9 Sauk, beneficial from a ratepayers' perspective beneficial
10 Taum Sauk tax adjustment taken away between the filing of
11 your surrebuttal and the recalculations in Exhibit 237?

12 A. Yes.

13 Q. Now, Commissioner Kenney started out with
14 some questions about the fairness of the gap in time
15 between when AFUDC cuts off and when a piece of plant is
16 reflected in rates. Do you recall those questions?

17 A. Yes.

18 Q. Up until the point at which a particular
19 piece of plant is actually in service in Missouri, is a --
20 is an electric company allowed to file a rate increase
21 case that would include that plant in service? I'm sorry.
22 Would include that plant in rate base?

23 A. Could you ask me the question one more
24 time?

25 Q. Yeah. That wasn't a very clear question.

1 Are you familiar with the anti-CWIP statute for electric
2 companies in Missouri?

3 A. Yes.

4 Q. Does that statute not prohibit a company
5 from including plant that is not yet in service in rate
6 base?

7 A. It does prohibit.

8 Q. And setting aside the timing of the true-up
9 and the time it takes the Commission to issue a decision,
10 but from the very day at which a piece of plant goes in
11 service then it is eligible to be -- to be included in
12 rate base and the company can earn a return on it,
13 correct?

14 A. Yes.

15 Q. So up until the point in which it goes in
16 service, the company has no option to include it in rate
17 base, correct?

18 A. That's correct.

19 Q. After it's in service, it's up to the
20 company whether to file a rate case to capture or not?

21 A. Yes.

22 Q. So it's the company's decision?

23 A. Yes, the company's decision. It's in their
24 control.

25 Q. Okay. Now, imbedded in this whole concept

1 is the question of regulatory lag. In your opinion, is
2 regulatory lag a bad thing that we just can't avoid or are
3 there beneficial aspects to regulatory lag?

4 MR. BYRNE: I'm going to object. It
5 exceeds the scope of Commission questions.

6 JUDGE WOODRUFF: Overruled.

7 THE WITNESS: There are benefits to
8 regulatory lag. It offers incentives for management to
9 cost optimize their spending.

10 MR. MILLS: Thank you. That's all I have.

11 JUDGE WOODRUFF: For Ameren?

12 MR. BYRNE: Just a few.

13 RECROSS-EXAMINATION BY MR. BYRNE:

14 Q. In response to some Commissioner
15 questions, you made the point that there were any number
16 of adjustments that could be made to this rate of return,
17 the 10.53 that's in the -- in the surveillance report for
18 the 12 months ended June 2012; is that correct?

19 A. Yes.

20 Q. I mean, isn't it really true that a whole
21 bunch of adjustments have to be made to those surveillance
22 report numbers? Aren't there dozens of adjustments that
23 you would need to make to bring those numbers to a
24 regulatory level where you have to determine whether
25 you're overearning or under-earning on a regulatory basis?

1 A. It's true if you wanted to get a perfect
2 number it would require a myriad of calculations.

3 Q. Isn't it true that -- have you ever been
4 around when the Staff has filed a complaint against a
5 utility for overearning?

6 A. Yes.

7 Q. Isn't it true the Staff would never
8 consider using that surveillance information as the basis
9 for the complaint until they ran through the whole gamut
10 of adjustments to it?

11 A. The surveillance would be something that we
12 would use as kind of a benchmark to determine whether some
13 sort of adjustment to rates was necessary, yes, sir.

14 Q. If a surveillance report showed, you know,
15 a 10.53 percent return on equity for a company that's
16 earning -- whose authorized return was 10.2, would that
17 suggest to you there's a big overearnings problem in that
18 company?

19 A. I don't know.

20 Q. Would -- would you think it would be a
21 basis for an earnings complaint against that company?

22 A. It may.

23 Q. Let me ask you this. Let's imagine a
24 company that has had five rate cases, four rate increases
25 and another one pending, and each time the company's

1 gotten a rate increase. Do you think that would suggest
2 the company has been overearning or under-earning during
3 the period those rate cases occurred?

4 A. Could you rephrase your question again?

5 Q. Well, I'm saying if a company like Ameren
6 Missouri who's had four rate increases in the last five
7 years and has another rate increase case pending, does
8 that history -- and my understanding is rates are based on
9 an historic test year in Missouri; is that correct?

10 A. Yes.

11 Q. I mean, does that history suggest that
12 Ameren Missouri's been overearning or under-earning or
13 does it suggest nothing to you?

14 A. It most likely suggests that they've earned
15 their authorized ROE. It may or may not suggest that some
16 sort of complaint would need to be filed. I'm not
17 suggesting that Ameren is chronically overearning.

18 Q. No. I mean, I guess what I'm asking is,
19 does the fact that Ameren Missouri has gotten four rate
20 increases in the last five years and has another rate case
21 pending, does that suggest that we've been overearning or
22 under-earning over the four or five-year period?

23 A. That would suggest under-earning.

24 Q. Okay. That's a better answer. At the very
25 beginning you were talking about the 10.53, and I think

1 you referred to it as the actual return. Do you remember
2 that? Maybe you were talking to Commissioner Kenney.

3 A. Yes.

4 Q. But isn't it true that that's literally not
5 the actual return because it's been adjusted for Taum
6 Sauk?

7 A. That's true.

8 MR. BYRNE: Thank you. That's all the
9 questions that I have.

10 JUDGE WOODRUFF: Redirect.

11 MR. THOMPSON: Thank you, Judge.

12 REDIRECT EXAMINATION BY MR. THOMPSON:

13 Q. You were asked a question about what the
14 logic is of the -- of what I've characterized as the donut
15 hole, and isn't it true that traditionally there is no
16 return on plant in service, there is no depreciation
17 expense between the in-service date and the date that
18 rates become effective from the case that put that plant
19 into rate base?

20 A. Yes.

21 Q. And that's traditional?

22 A. That is.

23 Q. That's always the way it's been?

24 A. Yes.

25 Q. That's how cost of service ratemaking

1 **works?**

2 A. Yes.

3 Q. And the company, I think you testified, has
4 **control over when it files its rate case?**

5 A. Yes.

6 JUDGE WOODRUFF: Mr. Thompson, I'd request
7 you use your microphone.

8 MR. THOMPSON: I apologize.

9 BY MR. THOMPSON:

10 Q. Now, there was some questions that were
11 **asked about the difference between a tracker and an AAO.**
12 **I believe Commissioner Jarrett was asking you those**
13 **questions. Do you recall those questions?**

14 A. I do.

15 Q. And I think you stated that a tracker
16 **measures the difference between actual experience and a**
17 **base amount?**

18 A. Yes.

19 Q. For example, the FAC is a type of tracker
20 **perhaps?**

21 A. Yes.

22 Q. Because there's a base amount of fuel
23 **that's in rates and then the FAC measures the difference**
24 **between actual fuel costs and that base amount?**

25 A. That's correct.

1 Q. And an AAO on the other hand doesn't have a
2 base amount, but it represents all of some cost that is
3 being deferred for consideration in a later rate case?

4 A. Yes. That's the concept.

5 Q. And so this plant in service accounting
6 idea is more like an AAO, I think you testified?

7 A. Yes.

8 Q. I think you said it had an ISRS flavoring?

9 A. That's correct.

10 MR. THOMPSON: I think that's all I have.

11 Thank you very much.

12 JUDGE WOODRUFF: Thank you, Mr. Cassidy.

13 You can step down.

14 And then the next witness is Mr. Robertson
15 for Public Counsel. Mr. Robertson, is this the first time
16 you've been up for this case?

17 THE WITNESS: It is.

18 (Witness sworn.)

19 JUDGE WOODRUFF: You may inquire.

20 TED ROBERTSON testified as follows:

21 DIRECT EXAMINATION BY MR. MILLS:

22 Q. Could you state your name for the record,
23 please?

24 A. My name is Ted Robertson.

25 Q. And by whom are you employed and in what

1 capacity?

2 A. I'm the chief public utility accountant for
3 the Missouri Office of the Public Counsel.

4 Q. And are you same Ted Robertson who has
5 caused to be filed in this case direct testimony, rebuttal
6 testimony and surrebuttal testimony?

7 A. Yes.

8 Q. And do your direct and rebuttal testimonies
9 have NP versions and HC versions?

10 A. I believe so.

11 Q. If I were to ask you the same questions
12 that are contained in that testimony -- first of all, do
13 you have any corrections or additions to make to that
14 testimony?

15 A. None that I know of.

16 Q. If I were to ask you the same questions
17 that are contained in those testimonies, would your
18 answers be the same?

19 A. They would.

20 Q. Are those answers true and correct to the
21 best of your knowledge, information and belief?

22 A. Yes.

23 MR. MILLS: Okay. Judge, I do not have my
24 exhibit list with me today. Could you help me out with
25 the exhibit numbers for Mr. Robertson's testimony?

1 JUDGE WOODRUFF: His direct is 406HC and
2 NP, his rebuttal is 407, and his surrebuttal is 408.

3 MR. MILLS: Thank you. With that direct
4 examination, I will offer Exhibits 406HC and NP, 407HC and
5 NP and 408 and tender the witness for cross-examination.

6 JUDGE WOODRUFF: 406, 407 and 408 have been
7 offered. Any objections to their receipt?

8 (No response.)

9 JUDGE WOODRUFF: Hearing none, they will be
10 received.

11 (OPC EXHIBIT NOS. 406, 407 and 408 WERE
12 RECEIVED INTO EVIDENCE.)

13 JUDGE WOODRUFF: For cross-examination,
14 begin with Staff.

15 MR. THOMPSON: No questions. Thank you.

16 JUDGE WOODRUFF: MIEC?

17 MR. DOWNEY: No questions.

18 JUDGE WOODRUFF: Ameren?

19 MR. BYRNE: No questions.

20 JUDGE WOODRUFF: Any questions from the
21 Bench? Commissioner Kenney?

22 QUESTIONS BY COMMISSIONER KENNEY:

23 Q. I'll be brief. I'm going to ask you about
24 the plant in service accounting. If we were to adopt
25 something along the lines of a plant in service

1 **accounting, would you be able to express any opinion on**
2 **whether and how much the ROE should be adjusted to reflect**
3 **any decreased business risk?**

4 A. We haven't done any calculation along that
5 line, so at this time I'd say no.

6 Q. **Would you agree that it would be**
7 **appropriate or in -- well, let me ask the question**
8 **differently.**

9 **Would it be appropriate or inappropriate to**
10 **adjust the ROE to reflect the increased business risk?**

11 A. Assuming that you went with the company's
12 proposal to some degree, I think it would be appropriate
13 to do an adjustment on ROE of some kind.

14 COMMISSIONER KENNEY: Thank you.

15 JUDGE WOODRUFF: Commissioner Jarrett?

16 COMMISSIONER JARRETT: I don't have any
17 questions. Thank you, Mr. Robertson.

18 JUDGE WOODRUFF: Commissioner Stoll?

19 COMMISSIONER STOLL: I don't have any
20 questions. Thank you.

21 JUDGE WOODRUFF: Mr. Chairman?

22 CHAIRMAN GUNN: Yeah. I probably should
23 ask this.

24 QUESTIONS BY CHAIRMAN GUNN:

25 Q. **237, are you familiar with what went into**

1 those calculations? It was a Staff exhibit through the
2 company, so --

3 A. Only what I've heard sitting here today.

4 Q. So we're in the same boat, so I won't ask
5 you any more than that. Thanks.

6 CHAIRMAN GUNN: That's all I have.

7 JUDGE WOODRUFF: Recross based on questions
8 from the Bench, beginning with Staff?

9 MR. THOMPSON: No questions. Thank you.

10 JUDGE WOODRUFF: MIEC?

11 MR. DOWNEY: No questions.

12 JUDGE WOODRUFF: Ameren?

13 MR. BYRNE: No, thank you.

14 JUDGE WOODRUFF: Redirect?

15 REDIRECT EXAMINATION BY MR. MILLS:

16 Q. Just to clarify, I think Commissioner
17 Kenney's first question was, all due respect, a compound
18 question. He asked you whether and how much an adjust--
19 whether and, if so, how much an adjustment. I think your
20 answer was no, but I think your later question, just to
21 clarify, do you believe that it would be appropriate or
22 not appropriate to adjust ROE if the plant in service
23 accounting was authorized?

24 A. I believe it would be appropriate to
25 adjust.

1 Q. You just don't know by how much?

2 A. As I sit here today, no.

3 MR. MILLS: That's all I have. Thank you.

4 JUDGE WOODRUFF: All right. Then,

5 Mr. Robertson, you can step down. And that concludes the
6 plant in service accounting issue.

7 MR. DOWNEY: Judge, if I may, when
8 Mr. Brosch was on the witness stand, some of the
9 Commissioners missed his testimony. You had indicated he
10 could be made available for questioning by the Commission
11 on this issue. He's -- I don't know if we're going to
12 have the same attorneys here later this afternoon if we
13 address income tax or not. He'll be testifying then. But
14 do you want to offer the Commissioner --

15 JUDGE WOODRUFF: I will make that offer.
16 If anyone wants to question Mr. Brosch, we can bring him
17 back up to the stand. He got on and off very quickly.

18 COMMISSIONER KENNEY: He's going to be
19 around, right? You're going to be here?

20 MR. DOWNEY: My only concern was if counsel
21 changes between this case and the next issue, they may not
22 be prepared.

23 MR. BYRNE: I'm doing the next issue, too,
24 if that helps you.

25 COMMISSIONER KENNEY: I'll wait. I don't

1 have any.

2 JUDGE WOODRUFF: Okay. Then that concludes
3 the plant in service accounting issue. Next issue is
4 income tax ADIT and NOL. We'll take a ten-minute break
5 before we go to that and we'll come back at 2:30.

6 (A BREAK WAS TAKEN.)

7 JUDGE WOODRUFF: Let's go ahead and get
8 started. We're back on the record after our break and
9 moving on to a new issue involving income tax and ADIT and
10 NOL, and we'll do mini openings on that beginning with
11 Ameren.

12 MR. BYRNE: Thank you, your Honor. May it
13 please the Commission?

14 There are two income tax issues that we are
15 here today to address. The first issue relates to the
16 company's ESOP, or employee stock ownership plan, and the
17 second involves the application of the ADIT, or
18 accumulated deferred income tax, to CWIP, or construction
19 work in progress. A lot of acronyms that make these
20 issues somewhat confusing. Let me try to explain them.

21 Let's talk first about the employee stock
22 ownership plan or ESOP issue. The crux of this issue is
23 that MIEC witness Brosch argues that Ameren Missouri's
24 customers are entitled to tax benefits that are earned by
25 Ameren Corporation based on decisions that Ameren Missouri

1 employees make about where to invest money they have
2 already earned as part of their salaries and decisions
3 that Ameren Corporation, not Ameren Missouri, makes about
4 whether to use money that it has already earned from
5 numerous sources or that it has borrowed to pay a dividend
6 to its stockholders.

7 Mr. Brosch and the parties who support him
8 on this issue are fundamentally mistaken about the
9 customers' entitlement to these tax benefits. Customers
10 are not entitled to tax benefits stemming from decisions
11 employees make to invest their own money after it's been
12 earned, and customers are not entitled to tax benefits
13 that stem from Ameren Corporation's decision to pay its
14 shareholders a dividend out of money that has already been
15 earned or that has been borrowed. Those tax benefits
16 belong to Ameren Corporation, not Ameren Missouri's
17 customers.

18 Let me explain more specifically what is
19 happening here. All employees of Ameren Corporation,
20 Ameren Corporation subsidiaries, including Ameren Missouri
21 employees are offered the opportunity to invest a portion
22 of their salaries in a 401K plan. 401K plan shelters the
23 money invested and any earnings on those investments from
24 income tax until the employee retires and begins to
25 withdraw money from his or her 401K account.

1 Ameren offers numerous investment options
2 to employees who elect to participate in a 401K plan. One
3 of the options is to purchase shares of Ameren Corporation
4 stock, and when Ameren Corporation pays a dividend out of
5 its retained earnings to Ameren Corporation stock held in
6 a 401K plan, that dividend payment generates a tax benefit
7 for Ameren Corporation. The federal government provides
8 that tax benefit to companies as an incentive to encourage
9 them to offer 401K plans to their employees.

10 The issue here is that Mr. Brosch and other
11 parties that support him want to take that tax benefit
12 away from Ameren Corporation and give it to Ameren
13 Missouri's customers. This position is completely without
14 merit. Mr. Brosch and the other parties cannot argue that
15 customers' entitlement stems from our employees' decisions
16 to invest money they have already earned in Ameren
17 Corporation stock. Where an employee chooses to invest
18 his earnings is his own business and should have no impact
19 on customers one way or the other. Once earned, the
20 salaries belong to the employees, not to customers.

21 And similarly, once they are earned,
22 customers have no claim on Ameren Corporation's profits,
23 and its decision to pay a dividend out of money it has
24 already earned or borrowed should also have no impact on
25 customer rates.

1 Ameren Corporation gets money to pay its
2 dividend from all of its subsidiaries, not just Ameren
3 Missouri, and its subsidiaries include a large Illinois
4 gas and electric operation as well as a subsidiary owning
5 unregulated generation. Moreover, money Ameren
6 Corporation uses to pay its dividend could also be
7 borrowed.

8 The point is the money used to pay Ameren
9 Corporation's dividend doesn't necessarily have any
10 relationship to Ameren Missouri.

11 Nonetheless, even if all the money from
12 Ameren Corporation's dividend came from earnings derived
13 from Ameren Missouri, customers would still have no
14 entitlement whatsoever to tax benefits that come from
15 Ameren Corporation's decision to utilize money that it has
16 already earned. Those tax benefits are incidental to
17 Ameren Corporation's ownership of its retained earnings,
18 which is recognized under Missouri law. They are not the
19 property of Ameren Missouri's customers.

20 Mr. Brosch and the other parties supporting
21 this adjustment would never argue that, I don't think,
22 that customers are entitled to tax benefits if Ameren
23 Corporation used its earnings to buy tax exempt bonds.

24 But attempting to seize the tax benefits
25 for customers in this instance is really no different. It

1 is simply taking a tax benefit earned by Ameren
2 Corporation based on disposition of money that Ameren
3 Corporation owns and giving it to Ameren Missouri's
4 customers.

5 This proposal would be similar to the State
6 of Missouri saying that taxpayers are entitled to the home
7 mortgage deduction of State employees just because their
8 houses may have been purchased using salaries funded by
9 the taxpayers. This would obviously be ridiculous. Once
10 earned, State employees' salaries are their own and
11 taxpayers have no claim on any benefits that might result
12 from decisions that the State employee might make in
13 disposing of the money he or she has earned.

14 Similarly Ameren Missouri customers have no
15 claim to benefit -- tax benefits based on decisions our
16 employees make about how to invest their salaries or
17 decisions that Ameren Corporation makes about disposing of
18 its retained earnings. Whether Ameren Corporation chooses
19 to use those funds to pay a dividend or whether it uses
20 those funds for any other purpose it should have no impact
21 on the rate Ameren Missouri customers pay. Mr. Brosch's
22 proposed adjustment is without merit and should be
23 rejected.

24 The second tax issue involves another tax
25 benefit, Accumulated deferred income taxes, or ADIT,

1 attributable to construction work in progress. As the
2 Commission knows and has been discussed at length in this
3 hearing, construction work in progress is paid for by
4 money that Ameren Missouri has to front in order to build
5 utility plant. Because of the way Missouri law works,
6 Ameren Missouri is not allowed to charge customers
7 anything for the money that it devotes to construct work
8 in progress.

9 In other words, Ameren Missouri has to put
10 out the money for construction, but it gets nothing in
11 return until the next rate case when completed projects
12 can be put into rate base. It's a significant problem for
13 Missouri utilities that rates can't be adjusted to reflect
14 construction work in progress.

15 But Mr. Brosch -- Mr. Brosch's adjustment
16 would make that problem even worse. Under Mr. Brosch's
17 proposal, even though today's customers pay none of the
18 cost of construction work in progress, under his proposal
19 they would be immediately credited for the tax benefit
20 associated with the construction work in progress.

21 This proposal is unfair to Ameren Missouri
22 and makes no logical sense. Customers pay for plant
23 investments, and those investments are included in rate
24 base in a future case. The tax benefits associated with
25 those investments should be flowed through to the

1 customers when they pay the related costs and not a moment
2 before.

3 Thank you.

4 JUDGE WOODRUFF: Questions? Thank you.
5 Opening for Staff.

6 MR. THOMPSON: Thank you, your Honor.
7 May it please the Commission?

8 This is the income tax section of the rate
9 case, and it's usually a standing room only segment.
10 There's two issues, and Mr. Byrne has described them very
11 accurately. The first is the ESOP. The second is the
12 ADIT on the construction work in progress.

13 The ESOP issue has to do with equity
14 between the subsidiary, Ameren Missouri, and the parent,
15 Ameren Corporation. A proportion of the employees that
16 have chosen in their 401K to invest their money in the
17 Ameren shares, a proportion of those employees are Ameren
18 Missouri employees. There's a tax benefit that is thereby
19 realized by the corporation, and Staff suggests that an
20 equitable portion of that tax benefit should be shared
21 with Ameren Missouri, that after all is who these
22 employees are employees of, and that that benefit in turn
23 should reduce revenue requirement.

24 The second issue is the accumulated
25 deferred income tax related to construction work in

1 progress. It's our understanding -- and when I say my
2 understanding, I don't understand much about this issue,
3 but nonetheless, I understand that in the past this
4 accumulated deferred income tax money has been used as an
5 offset to rate base. That is, it is a subtraction from
6 rate base, a negative inclusion, and that Staff believes
7 it should be treated that way in this case as well.

8 Thank you.

9 JUDGE WOODRUFF: Questions? Thank you.
10 Commissioner Jarrett?

11 COMMISSIONER JARRETT: How did we treat
12 these issues in the last rate case?

13 MR. BYRNE: I think the income tax issues
14 were settled in the last case.

15 MR. THOMPSON: It's my understanding that
16 the ADIT was treated as a deduction from rate base.

17 JUDGE WOODRUFF: For Public Counsel?

18 MR. MILLS: I'll waive the mini opening on
19 this issue. Thank you.

20 JUDGE WOODRUFF: For MIEC?

21 MR. DOWNEY: Thank you, Judge. Good
22 afternoon. May it please the Commission?

23 Commissioner Jarrett, I think this may go
24 to the question you just raised. MIEC witness Brosch is
25 proposing the ESOP adjustment. By proposing an

1 adjustment, I'm assuming we're wanting to change
2 something. On the second issue, Ameren is proposing the
3 adjustment.

4 The adjustment Mr. Brosch proposes is
5 \$2.8 million per year in revenue requirement. The
6 adjustment that Ameren is proposing is \$9 million per year
7 in revenue requirement.

8 I think Mr. Byrne accurately described the
9 issues. The first issue, the ESOP issue, MIEC notes that
10 the costs of Ameren's -- Ameren Missouri's employees'
11 salaries and their 401K match enables those employees to
12 acquire Ameren, Inc. stock in their 401K portfolios. It's
13 an expense that is included in revenue requirement and
14 thus rates. In the spirit of matching benefits and
15 burdens, it is only fair to allocate into Missouri revenue
16 requirement that portion of the dividends deduction that
17 Ameren Corporation receives that is attributable to the
18 Ameren Missouri employees' 401K holdings.

19 Ameren's rationale for keeping the dividend
20 deduction tax benefits involves abstract arguments about
21 which corporate entity actually pays the dividends and
22 argues that dividends are not explicitly considered in
23 setting utility rates.

24 The truth is that the Commission allows
25 Ameren Missouri an ROE sufficient for it to pay upstream

1 dividends to its sole shareholder, Ameren Corporation.
2 Ameren Corporation in turn has divided -- excuse me, has
3 dividend income from which to pay these dividends to its
4 shareholders, including the Ameren Missouri employees at
5 issue here.

6 We urge the Commission to adopt the MIEC
7 adjustment. By the way, this adjustment is supported by
8 all the other parties except Ameren.

9 With regard to Ameren's proposal, that is
10 to deny ratepayers any benefit whatsoever of accumulated
11 deferred income taxes, ADIT, associated with construction
12 work in progress or CWIP investments. This new proposal
13 should be denied. ADIT results from accelerated and bonus
14 tax depreciation that, for instance, allows an asset with
15 a 20-year life to be largely expensed for tax purposes in
16 the first year.

17 Additional ADIT balances result from
18 treating as currently deductible repairs many costs that
19 are capitalized for book purposes as construction work in
20 progress. These accelerated tax deductions result in
21 significant income tax deferrals that essentially provide
22 an interest-free loan to the taxpayer to be paid back
23 without interest over the 20-year book life of the asset.

24 Ameren argues that the ADIT that is
25 associated with its CWIP assets should be ignored for

1 ratemaking purposes solely because CWIP is not included in
2 rate base. This overly simplistic argument is wrong and
3 should be rejected. Customers are, in fact, burdened by
4 CWIP since the CWIP earns, as you've heard this afternoon
5 and this morning, AFUDC, that Ameren's customers will in
6 fact pay.

7 During 2011 and 2012, AFUDC averaged
8 \$3.8 million a month in added income for Ameren, all of
9 which amounts will be added into future rate base for
10 which ratepayers will be burdened with a return in
11 depreciation costs in setting their rates.

12 AFUDC calculations do not account for
13 CWIP-related ADIT balances. Therefore, as explained by
14 MIEC witness Brosch, these ADIT balances must continue to
15 be included in rate base as they have been in all previous
16 Ameren rate cases. Thank you.

17 JUDGE WOODRUFF: Thank you. I believe that
18 will be all the openings, so we'll begin with the first
19 witness, which is James Warren.

20 CHAIRMAN GUNN: Can I just ask a quick
21 question? Public Counsel, the information I have is you
22 have not taken a position on this, but Mr. Downey said
23 that all the other parties support the position. I just
24 want to clarify as to whether you are neutral on the issue
25 or whether you're supporting the other parties?

1 MR. MILLS: We are supporting the MIEC and
2 Staff positions.

3 CHAIRMAN GUNN: Thank you.

4 (Witness sworn.)

5 (AMEREN EXHIBIT NO. 10 WAS MARKED FOR
6 IDENTIFICATION.)

7 JUDGE WOODRUFF: You may inquire.

8 JAMES WARREN testified as follows:

9 DIRECT EXAMINATION BY MR. BYRNE:

10 Q. Good afternoon. Could you please state
11 your name for the record?

12 A. My name is James I. Warren.

13 Q. And by whom are you employed, Mr. Warren?

14 A. I'm a member of the law firm Miller &
15 Chavalier, Chartered in Washington, D.C.

16 Q. And Mr. Warren, are you the same James I.
17 Warren that caused to be filed in this case prefiled
18 rebuttal testimony that's been marked as Exhibit No. 10?

19 A. Yes, I am. I'm not sure what the exhibit
20 number is, but I did file prefiled testimony.

21 Q. Prefiled rebuttal testimony?

22 A. Rebuttal testimony, yes.

23 Q. And do you have any corrections to that
24 testimony you'd like to make at this time?

25 A. Not that I found, no.

1 Q. And is the information contained in your
2 prefiled testimony true and correct to the best of your
3 knowledge and belief?

4 A. Yes, it is.

5 Q. And if I were to ask you the questions
6 contained in that prefiled testimony today when you're
7 under oath, would your answers be the same?

8 A. They would.

9 MR. BYRNE: Your Honor, I would offer
10 Exhibit No. 10 and tender Mr. Warren for
11 cross-examination.

12 JUDGE WOODRUFF: Exhibit 10 has been
13 offered. Any objections to its receipt?

14 (No response.)

15 JUDGE WOODRUFF: Hearing none, it will be
16 received.

17 (AMEREN EXHIBIT NO. 10 WAS RECEIVED INTO
18 EVIDENCE.)

19 JUDGE WOODRUFF: For cross-examination, we
20 begin with MIEC.

21 MR. DOWNEY: No questions.

22 JUDGE WOODRUFF: Public Counsel?

23 MR. MILLS: No questions.

24 JUDGE WOODRUFF: Staff?

25 MR. THOMPSON: No questions. Thank you.

1 JUDGE WOODRUFF: We'll come up for
2 questions from the Bench. Mr. Chairman?

3 CHAIRMAN GUNN: No questions.

4 JUDGE WOODRUFF: Commissioner Jarrett?

5 COMMISSIONER JARRETT: I don't have any
6 questions.

7 JUDGE WOODRUFF: Commissioner Kenney?

8 COMMISSIONER KENNEY: No, no questions.

9 JUDGE WOODRUFF: Commissioner Stoll?

10 COMMISSIONER STOLL: No questions, your
11 Honor.

12 JUDGE WOODRUFF: All right. No need for
13 recross or redirect then, and Mr. Warren, you can step
14 down.

15 THE WITNESS: Thank you.

16 JUDGE WOODRUFF: Next witness then is
17 Mr. Brosch for MIEC, and Mr. Brosch, I'll not swear you a
18 third time, but you are still under oath.

19 THE WITNESS: Yes. Thank you.

20 MIKE BROSCHE testified as follows:

21 DIRECT EXAMINATION BY MR. DOWNEY:

22 Q. Are you the same Mr. Brosch that testified
23 on Thursday?

24 A. I am, yes.

25 Q. And that testified this morning or this

1 afternoon, I guess?

2 A. That's correct.

3 Q. And you're available at this time to
4 address income tax issues and also if the Commission has
5 questions the PISA proposal that we addressed this morning
6 and this afternoon; is that correct?

7 A. I am, yes.

8 MR. DOWNEY: Tender the witness for cross.

9 JUDGE WOODRUFF: And for cross, we begin
10 with Public Counsel.

11 MR. MILLS: No questions.

12 JUDGE WOODRUFF: For Staff?

13 MR. THOMPSON: No questions. Thank you.

14 JUDGE WOODRUFF: For Ameren?

15 MR. BYRNE: No, thank you.

16 JUDGE WOODRUFF: Come up to the Bench then.

17 Mr. Chairman?

18 CHAIRMAN GUNN: I just have a couple
19 questions.

20 QUESTIONS BY CHAIRMAN GUNN:

21 Q. So this is a benefit to Ameren Corporation,
22 correct, that the tax benefit goes to Ameren Corporation?

23 A. Are you talking about the ESOP dividend
24 deduction?

25 Q. Yes.

1 A. Yes, that's right. Ameren Corporation
2 files a consolidated tax return as an affiliated group and
3 includes a deduction for dividends paid on common shares
4 held on in employee stock ownership plan accounts.

5 Q. And I would assume because they get that
6 benefit -- or one of the reasons why they offer the ESOP
7 is because they get this tax benefit?

8 A. I would think that's one of many
9 considerations, offering a 401K retirement plan helps to
10 attract and retain employees.

11 Q. So if this benefit goes away from --
12 from -- or we reduce the revenue requirement, are we
13 making it more likely that the company or less likely that
14 the company would continue to offer the plan?

15 A. Make sure I understand your question. Are
16 you saying --

17 Q. Let me rephrase that. If by taking that
18 tax benefit and reducing revenue requirement, is that a
19 disincentive for the company to continue operating their
20 ESOP plan?

21 A. I don't think so. I don't think so,
22 because the offering of the plan is part of an overall
23 package of employee compensation, and I would think the
24 primary considerations in making that plan available to
25 employees is, as I said, to be able to attract and retain

1 talent.

2 The dividends deduction I view as mostly a
3 byproduct of having offered Ameren stock as one of the
4 investment options. If you don't account for that
5 deduction, that benefit here, it will be retained for the
6 sole benefit of shareholders.

7 Q. Does the employees' purchase of stock
8 through the ESOP, is that a -- what -- is that volume
9 significant enough on a regular basis to affect the stock,
10 the stock price?

11 A. I don't have an opinion one way or the
12 other on that. The deduction stems from shares held in
13 employee accounts. I have no information about the
14 frequency or volume of trades. My suspicion is that those
15 investments may be relatively stable and constant and
16 incremental and probably not that large a piece of total
17 trading volume, but I've not really studied it to know.

18 CHAIRMAN GUNN: That's all I have. Thank
19 you.

20 JUDGE WOODRUFF: Commissioner Jarrett?

21 COMMISSIONER JARRETT: I have no questions.
22 Thank you, sir.

23 JUDGE WOODRUFF: Commissioner Kenney?

24 QUESTIONS BY COMMISSIONER KENNEY:

25 Q. Good afternoon.

1 A. Good afternoon.

2 Q. I just have a couple of questions but not
3 about the tax issue, about the plant in service
4 accounting.

5 A. Okay.

6 Q. My questions should be relatively brief,
7 and you probably heard me ask them already. Do you have
8 an opinion about whether, if the Commission were to
9 approve such an accounting, there should be an adjustment
10 to the ROE?

11 A. I think there should be an adjustment to
12 the ROE. I have no quantification to offer you as to what
13 that might be. Clearly approval of the PISA accounting
14 would be persistent incremental additional revenue, the
15 effect of which would be to improve the company's overall
16 opportunity to earn in Missouri.

17 Q. You don't have a quantification in basis
18 points, but would it be relatively straightforward to
19 conduct such a calculation and quantification?

20 A. I wouldn't think so.

21 Q. Really?

22 A. My -- okay. My experience has been that
23 when changes to the regulatory framework, the mechanism
24 are entertained, regulators often struggle with how to
25 quantify the return on equity adjustment that should

1 correspond with the significant change in the regulatory
2 paradigm.

3 I've seen discussions of that issue
4 centered on what is the appropriate range of a return and
5 should the regulator move toward the bottom of that range
6 rather than the midpoint, but those discussions are all
7 relative magnitude rather than precise quantification in
8 my experience.

9 Q. If you assume that over the last three or
10 four or five rate cases Ameren has had X amount of dollars
11 in capital investment that they haven't been able to earn
12 a return on capital during that red period on the bar up
13 there, could you average that and use that dollar amount
14 as the -- as -- and assume that that's what they would
15 recover in the future as a way of adjusting the ROE?

16 A. I don't think I would. I can't accept your
17 premise that Ameren, in fact, has a significant amount of
18 dollars that they've been unable to earn a return on. If
19 you look, for example, in Mr. Weiss' testimony and study
20 the change in the rate base number across all those months
21 in the historical period that he analyzes, except for the
22 step increase at about the time the Sioux scrubber went
23 into service, Ameren Missouri's rate base has been
24 relatively constant across that period. So PISA is a
25 misplaced remedy. It's trying to address a problem that

1 really doesn't exist in my view.

2 Q. And then you were in the room earlier when
3 Ms. Barnes was testifying?

4 A. I was.

5 Q. She made the point that there's an
6 allowance for funds used during construction and that's
7 allowed to accrue during that blue period before the plant
8 is actually in service?

9 A. That's right.

10 Q. And she makes the argument that it doesn't
11 really make sense to allow that accrual during that period
12 but then not allow for it from the time that the plant's
13 in service to the time that the new rates are set. And
14 it's a fairness argument. How do you respond to why is it
15 fair to allow the AFUDC accrual at one period but not for
16 that period once the plant's in service?

17 A. It seems intuitively correct, but it's
18 absolutely wrong. The AFUDC return is allowed on CWIP
19 investment because CWIP investment is not eligible for
20 rate case inclusion particularly in Missouri by act of
21 law. In many other states it's not included -- CWIP is
22 not included in rate base as a matter of regulatory
23 policy. AFUDC provides a return during that period of
24 construction.

25 Then when construction is completed and the

1 asset is placed in service, everything changes. When I
2 say everything changes, what I mean is when you complete
3 construction on an asset that's replacing another asset,
4 there's a retirement of the old asset, installation of the
5 new asset. If the old asset was creating or contributing
6 to maintenance problems, there may be O&M savings. If the
7 new asset is the installation of new technology that
8 brings new efficiencies to the business, there may be
9 displacement of operating expenses.

10 So the general ratemaking framework says
11 for assets that are completed and in service they are
12 eligible to be considered along with the rest of rate base
13 whenever the utility elects to bring a rate case. The
14 importance of that election is when the utility brings a
15 rate case, they have to make accounting for everything
16 that changed. They have to update the billing
17 determinants, the sales volumes and revenues. They have
18 to tell you about how many employees they have today, what
19 the labor and non-labor costs are today. They have to
20 update the full gamut of what touches the revenue
21 requirement, and that achieves the matching that's
22 important.

23 If you look in isolation at a particular
24 asset, this pattern is routine and recurring literally
25 continuously. Utilities are in both the construction

1 business and the utility business. They're constantly
2 building and replacing assets. AFUDC answers the problem
3 of those assets not being includable and able to earn a
4 return through rate base.

5 That problem stops when the asset is placed
6 in service and the utility can make the decision to bring
7 a rate case forward, account for all of the changes in its
8 costs and revenues and tell you what its revenue
9 requirement is.

10 Q. I think I also heard you say, though, that
11 once that asset is placed in service, there may be some
12 countervailing expense that's offset because of that new
13 piece of equipment being in service?

14 A. There can be incremental expenses. There
15 can be cost savings. There can be -- there often is in a
16 replacement scenario the retirement of an existing asset,
17 the capitalization of a new asset, the cessation of
18 depreciation on the old asset, the commencement of
19 depreciation on the new asset.

20 The elegance of the traditional model is,
21 we provide an opportunity, indeed an obligation to
22 quantify and update all of those things instead of looking
23 in isolation at this one known increase in costs and
24 picking it out for preferential or extraordinary rate
25 treatment, and that's why it's objectionable.

1 COMMISSIONER KENNEY: Thank you.

2 JUDGE WOODRUFF: All right. Then we'll
3 move on to recross based on questions from the Bench,
4 beginning with Public Counsel.

5 MR. MILLS: No, thank you.

6 JUDGE WOODRUFF: Staff?

7 MR. THOMPSON: No, thank you.

8 JUDGE WOODRUFF: Ameren?

9 MR. BYRNE: Just a couple.

10 RECROSS-EXAMINATION BY MR. BYRNE:

11 Q. Mr. Brosch, Chairman Gunn asked you at the
12 beginning about whether treating the ESOP tax deduction as
13 you have proposed would provide a disincentive for Ameren
14 Corporation to continue its 401K plan. Do you remember
15 that question?

16 A. I do recall that.

17 Q. I guess my question is, you don't have any
18 knowledge of Ameren Corporation's thinking about whether
19 or not they're going to keep their 401K plan, do you?

20 A. That's correct. I have not discussed with
21 anyone at the company the motives behind or variables
22 considered in continuing to offer that plan.

23 Q. You were also asked, I believe by
24 Commissioner Kenney, about the impact of adoption of plant
25 in service accounting on the company's return on equity.

1 Do you recall those questions?

2 A. I do, yes.

3 Q. And first of all, you're not a return on
4 equity expert, are you?

5 A. I am not.

6 Q. And I think you offered the opinion that
7 there should be some adjustment to the return on equity,
8 but you weren't able to give a quantification; is that
9 fair to say?

10 A. Yes.

11 Q. Okay. And when you say there should be an
12 adjustment to the return on equity, the way I think about
13 that is there should be an adjustment to the return on
14 equity compared to what it would have been if there was no
15 plant in service accounting. Am I thinking about that the
16 right way? Is that what you mean by an adjustment?

17 A. That is how I understood the question and
18 attempted to answer the question, yes, that incrementally,
19 all else constant, if you were to approve plant in service
20 accounting, there would be a reduction in the operational
21 risks faced by the company and an enhancement in its
22 opportunity to earn a return between rate cases.

23 Q. I think one -- in response to one of the
24 Commissioners' questions, you said one reason that you
25 don't believe plant in service accounting is justified is

1 that you saw some documents which showed a relatively
2 constant investment in rate base by the company; is that
3 correct?

4 A. I referred -- excuse me. I referred to
5 Mr. Weiss' testimony where he has monthly values for rate
6 base over a multiyear period and observed that while there
7 was a significant step increase at about the time this
8 Sioux scrubber was completed, changes in rate base didn't
9 explain much of the company's increased revenue
10 requirement over those periods of time. Instead, where
11 there were changes, they appeared to be changes in
12 operating income rather than rate base.

13 Q. Was he -- was his schedule showing the
14 amount of money that was being invested in rate base or
15 the total rate base balance?

16 A. It was the total rate base balance, which
17 is an important point because the total rate base balance
18 accounts for the substantial increase in accumulated
19 deferred income taxes over the years that in recent years
20 have paid for much of the company's incremental investment
21 in plant.

22 Q. And I'm assuming if -- if -- all of that
23 could change, though, if the company made additional
24 investments in response to plant in service accounting or
25 for other reasons; is that fair to say?

1 A. Yes. It's more than fair to say. In fact,
2 a theme in my testimony is that we shouldn't be focused on
3 historical results at all. The more important
4 consideration is whether the company's made a showing
5 prospectively that there's an earning attrition issue to
6 be addressed, and I maintain they have not.

7 Q. You talked about once plant -- the reason
8 that red line isn't -- the reason the company shouldn't
9 get a return on its investments during the period covered
10 by the red line after the plant goes into service is that
11 at that point the plant is eligible to be included in
12 rates, and so if the company chooses to file a rate case,
13 it could recover those costs; is that correct?

14 A. I don't -- if I said the company shouldn't
15 earn a return, that's not what I meant to say. What I
16 meant to say is, at the time construction is completed,
17 the asset is eligible for consideration in rate base.
18 Given the dynamic environment that occurs between test
19 years, there's a continue -- a continual process of
20 building new plant, retiring old plant. Everything's very
21 dynamic.

22 So you can't say that a specific asset that
23 was completed in August of 2012 is not being allowed to
24 earn a return. An overall revenue requirement is being
25 established in this case that may be sufficient to pay a

1 return on all the new assets added for the next two or
2 three years.

3 Q. Isn't it really true that when assets go
4 into service, it's not -- they're not really eligible to
5 be immediately included in rates, and what I mean by that
6 is because of the way the ratemaking process works,
7 there's a true-up date in every rate case that's usually
8 about five months before the rates go into effect.

9 So even if rate cases are timed perfectly
10 with respect to the addition of a PISA plant, there's
11 still going to be a five-month lag in between the true-up
12 date and the date that the rates goes into effect
13 reflecting that investment; isn't that true?

14 A. I hear you asking me about explicit
15 recognition and inclusion of a plant asset in rate base,
16 and if you look for explicit recognition and inclusion of
17 a particular asset, yes, you have that regulatory lag
18 phenomena to consider. The bigger issue is holistically
19 is the overall revenue requirement sufficient to provide a
20 return on completed new construction net of retirements of
21 old plant and all the other changes.

22 Q. Let me ask you a holistic question. What
23 if holistically an electric utility is filing rate case
24 after rate case after rate case after rate case as fast as
25 it can file them and yet it's still not recovering the

1 **cost of its investment in rate base that's reflected in**
2 **the red period, isn't that a holistic problem that we have**
3 **with the regulatory process?**

4 A. You know, I don't think it's the problem
5 that you've made it out to be. I think that, as I said,
6 you look at Mr. Weiss' calculations and rate base is
7 relatively stable but for the Sioux scrubber addition.

8 What you see is volatility in the income
9 statement that suggests that an inability to contain
10 expenses at the same rate of growth that revenues are
11 growing is really the root cause of the historical
12 earnings problem. But as I said, the more important issue
13 is prospectively do we have a problem that's crying out
14 for a solution.

15 MR. BYRNE: Thank you, Mr. Brosch. No
16 further questions.

17 JUDGE WOODRUFF: Redirect?

18 MR. DOWNEY: Just a few.

19 REDIRECT EXAMINATION BY MR. DOWNEY:

20 **Q. Mr. Byrne was asking you about ADIT, and I**
21 **think you indicated that ADIT in part finances the**
22 **company's investment in plant. Do you recall that**
23 **testimony?**

24 A. I do, yes. Accumulated deferred income
25 taxes have grown significantly in the last four or five

1 years in no small part due to congressional approval of
2 various stimulative, economic stimulative measures,
3 including bonus depreciation provisions, as well as the
4 utility industry's adoption of some tax accounting changes
5 that make immediate deductions for repairs available for
6 costs that previously were capitalized for tax purposes.

7 **Q. Would you walk the Commission through an**
8 **example that shows how ADIT balances help finance the**
9 **construction of plant?**

10 A. Yes. The company when it files its tax
11 returns takes advantage of opportunities to defer tax
12 payment obligations. That is done by first looking to
13 costs that can be characterized as repairs rather than
14 capital additions. For T&D plant and for production
15 plant, that has given rise to very large current
16 deductions for tax purposes.

17 By aggregating plant and redefining units
18 of property so that when small, relatively small plant
19 additions that are considered units of property for book
20 purposes have to be capitalized, those replaced assets are
21 not so large for tax purposes as to require capitalization
22 but instead can be deducted currently on the tax return.

23 That repairs deduction approach has given
24 rise to large incremental new tax deferrals. When Ameren
25 Corporation and other utilities are able to defer the

1 payment of income taxes, that's a significant cash flow
2 opportunity because deferred income tax expense is charged
3 to and collected from ratepayers as part of the revenue
4 requirement.

5 If the company collects deferred income
6 taxes but doesn't have to pay those taxes to the
7 government, that represents a significant source of
8 capital that's available to assist in the funding of new
9 construction. And that's a large reason why when you
10 account for the overall change in Ameren's rate base, it
11 hasn't grown much because in large part what's increased
12 in net plant additions has been funded by changes in
13 accumulated increases in accumulated deferred income
14 taxes.

15 MR. DOWNEY: Thank you.

16 JUDGE WOODRUFF: You can step down.

17 THE WITNESS: Thank you.

18 JUDGE WOODRUFF: Next witness is
19 Mr. Cassidy. Mr. Cassidy, you are also still under oath.
20 You may inquire.

21 MR. THOMPSON: I would yield Mr. Cassidy
22 for cross-examination.

23 JUDGE WOODRUFF: Okay. For
24 cross-examination, begin with MIEC?

25 MR. DOWNEY: No cross.

1 JUDGE WOODRUFF: Public Counsel?

2 MR. MILLS: No questions.

3 MR. THOMPSON: Ameren?

4 MR. BYRNE: No questions.

5 JUDGE WOODRUFF: Up for questions from the
6 bench then. Mr. Chairman?

7 CHAIRMAN GUNN: I don't have any questions.

8 JUDGE WOODRUFF: Commissioner Jarrett?

9 COMMISSIONER JARRETT: No questions.

10 JUDGE WOODRUFF: Commissioner Kenney?

11 COMMISSIONER KENNEY: No, I don't think so.

12 Thank you.

13 JUDGE WOODRUFF: All right. Commissioner
14 Stoll?

15 COMMISSIONER STOLL: No questions.

16 JUDGE WOODRUFF: No questions. No need for
17 recross or redirect. Mr. Cassidy, you can step down.

18 And I believe that completes the income tax
19 issue. Let's go ahead and move straight into the rate
20 case expense issue if we're -- if everybody's ready for
21 that, or do we need to switch attorneys?

22 MR. THOMPSON: We would request a brief
23 recess prior to starting the rate case expense issue.

24 JUDGE WOODRUFF: Let's take ten minutes
25 again and come back at 3:20.

1 (A BREAK WAS TAKEN.)

2 JUDGE WOODRUFF: Let's go ahead and get
3 started again. We move on to the rate case expense issue,
4 and we'll start with mini openings on that, beginning with
5 Ameren.

6 MR. BYRNE: Thank you, your Honor. May it
7 please the Commission?

8 In this case Ameren Missouri is requesting
9 an allowance for rate case expense based on its estimate
10 of \$1.922 million that it expects to spend on this case.
11 That amount is exactly in between the \$2.1 million that
12 the company actually spent in the 2010 rate case and the
13 \$1.7 million that it spent on the 2011 rate case. The
14 company's actual request is 12/15 of that amount or
15 \$1.538 million because the company's history has been that
16 it files a new rate case every 15 months.

17 The Staff is supporting a \$1 million
18 allowance for rate case expense in this case based on
19 their alleged analysis of, quote, other large utilities,
20 unquote, in the state. When asked for the underlying
21 analysis, the Staff refused to provide it on the grounds
22 that it was confidential.

23 Ameren Missouri's rate cases are unlike
24 those of other large utilities in the state, with the
25 possible exception of Kansas City Power & Light Company.

1 As a large electric utility with a large generating fleet
2 that participates in regional transmission organization,
3 the complexity of our rate cases is significantly greater
4 than those of water or gas or even smaller electric
5 utilities. I note that Kansas City Power & Light's last
6 rate case the company incurred \$7.7 million in rate case
7 expenses, and the Commission allowed the vast majority of
8 it. The Staff has presented absolutely no support for its
9 adjustment and it should be rejected.

10 Public Counsel's position on this issue is
11 even worse. They propose to disallow all costs of all
12 outside lawyers and all consultants and then only allow
13 the recovery of half of the remaining costs, whatever they
14 might be. Maybe there wouldn't be any.

15 This is a completely unreasonable position.
16 There are only about 16 or 17 practicing attorneys at
17 Ameren that have to handle all the legal issues for Ameren
18 Corporation, which is a Fortune 500 company, and all of
19 its subsidiaries. Those attorneys are responsible for all
20 work -- and there's only 16 or 17 of them. They're
21 responsible for all work on contracts, real estate,
22 Illinois and FERC regulatory issues, nuclear issues,
23 corporate governance, transactions, financing, lawsuits of
24 various kinds, environmental work and other work in other
25 areas.

1 It's unimaginable, as Mr. Robertson
2 suggests, that those lawyers could be expected to stop
3 doing the work they were hired to do and work on Ameren
4 Missouri's rate case, and it would not be prudent for the
5 company to incur the cost of staffing up with additional
6 regulatory lawyers to meet the peak conditions of a rate
7 case.

8 Like all of the other utilities in the
9 state, Ameren Missouri uses outside lawyers and outside
10 consultants to help it handle the peak work load imposed
11 by a rate case. Nonetheless, we do what we can to keep
12 rate case expenses low. The reason you know me and
13 Ms. Tatro so well is that we are directly involved in
14 working on rate cases and trying issues in every rate
15 case, but we need some help when we have a \$376 million
16 rate case with 15 other parties, all of whom have
17 attorneys and many of whom have expert witnesses.

18 MIEC, for example, has numerous lawyers
19 from Bryan Cave, one of the largest and most expensive law
20 firms in the Midwest, diligently working on this case.
21 MIEC has also hired two separate outside consulting firms,
22 Utilitech and Brubaker & Associates, to support its case.

23 The Staff has, I don't know, five or six
24 lawyers assigned to the case, along with a whole staff of
25 auditors and other technical experts who are deeply

1 involved and deeply knowledgeable about the ratemaking
2 process. And there are numerous other parties represented
3 in this proceeding by attorneys.

4 In seeking outside help, we have not gone
5 to law firms in New York or Chicago like some utilities
6 have and like Ameren has in the past for that matter. We
7 don't even use large firms in St. Louis or Kansas City.
8 We use mid Missouri lawyers charging mid Missouri rates to
9 help us.

10 And although in my opinion the outside
11 lawyers we are using, Mr. Tripp, Mr. Mitten and
12 Mr. Lowery, provide the highest quality of service, they
13 do so at very reasonable rates. Mr. Lowery and Mr. Tripp
14 have negotiated discounted rates under a multiyear
15 contract that was negotiated by Ameren Missouri's legal
16 department in conjunction with our strategic sourcing
17 department. Ameren Missouri has also negotiated a
18 discounted hourly rate for Mr. Mitten's representation in
19 this case that's lower than the hourly rates usually
20 charged by his firm, which are low to begin with.

21 In short, the company has been very
22 diligent in keeping its legal expenses for this rate case
23 as low as possible.

24 The same is true with outside witnesses we
25 have used. It would not be prudent for Ameren Missouri to

1 hire an economist like Mr. Reed or a weather expert like
2 Mr. Dutcher or a cost of capital witness like Mr. Hevert
3 full-time. Contracting for their service is perfectly
4 appropriate, and it's the lowest cost way to get the
5 benefit of their expertise. And Mr. Robertson has
6 provided no persuasive evidence to support a disallowance
7 of these costs.

8 Finally, Mr. Robertson's recommendation to
9 split whatever remaining rate case expenses there may be
10 between shareholders and customers is without merit. I'm
11 not aware of any jurisdiction in the country where such a
12 splitting of rate case costs is allowed or required.
13 Ameren Missouri's entitled to recover all the reasonable
14 and necessary costs of operating as a regulated utility,
15 and requesting needed rate increases is one of those
16 costs, and it should be 100 percent recovered.

17 In summary, Ameren Missouri's been diligent
18 in controlling its rate case expenses. The rate case
19 expenses are relatively low, and no disallowance or
20 splitting of costs should be ordered. Thank you.

21 JUDGE WOODRUFF: Questions?

22 CHAIRMAN GUNN: I have a quick question.
23 Does Ameren Missouri concede that if the Commission grants
24 a rate increase, that the shareholders of Ameren
25 Corporation benefit?

1 MR. BYRNE: Yes.

2 CHAIRMAN GUNN: Thank you. I don't have
3 anything else.

4 JUDGE WOODRUFF: Commissioner Kenney?

5 COMMISSIONER KENNEY: I'm going to ask it a
6 slightly different way but a similar question. Do you
7 agree that the regulatory compact or the regulatory scheme
8 is such that those costs and expenses that benefit
9 ratepayers should be borne by ratepayers and those things
10 that benefit shareholders should be borne by shareholders?

11 MR. BYRNE: No, I don't think so. You
12 know, I answered Chairman Gunn's question with a one-word
13 answer, yes, but I think the larger answer is lots --
14 everything we do benefits our shareholders. Building
15 plants benefits our shareholders. Hiring employees,
16 billing customers benefits our shareholders. I mean, just
17 being in business and all that goes along with it is where
18 our shareholders get their value from.

19 So you should no more split the legal costs
20 of a rate case than you should split the billing costs and
21 say, well, billing customers help shareholders. Being in
22 business helps shareholders. There's no doubt about it,
23 but the cost of being in business ought to be paid for by
24 customers.

25 COMMISSIONER KENNEY: You have a limited

1 number of ways in which you can generate and deliver
2 electricity, right? I mean, there's multiple ways you can
3 do it, but there's not an infinite number of ways.

4 MR. BYRNE: I would agree there's not an
5 infinite number of ways, but there are a lot of ways.

6 COMMISSIONER KENNEY: But there are
7 infinite attorneys you could decide to hire. You could go
8 to Chicago. You could go to New York. You could bring in
9 this tax expert from DC, which is like the first tax law
10 firm in the country or something like that.

11 MR. BYRNE: Sure.

12 COMMISSIONER KENNEY: You have multiple
13 ways to prosecute your rate case.

14 MR. BYRNE: Sure.

15 COMMISSIONER KENNEY: And there are
16 multiple strategic decisions that you can make and there
17 are multiple variables that go into all of these legal
18 strategic decisions, correct?

19 MR. BYRNE: Yes.

20 COMMISSIONER KENNEY: Would you agree that
21 there's more permutations of how to prosecute a rate case
22 than there would be to generate, transmit and deliver
23 electricity?

24 MR. BYRNE: Maybe. Maybe there are. I
25 guess -- I guess --

1 COMMISSIONER KENNEY: There's lots of
2 lawyers in mid Missouri. There's lots of lawyers in the
3 state of Missouri.

4 MR. BYRNE: Sure. If every lawyer's a
5 permutation, sure. There's lots of people. Our point is
6 if we're imprudent in incurring costs, they absolutely
7 should be disallowed, but --

8 COMMISSIONER KENNEY: But what if you're
9 not imprudent? I guess what I'm saying is that, if you --
10 you talked about \$2.1 million in rate case expense in
11 2010, right?

12 MR. BYRNE: Right.

13 COMMISSIONER KENNEY: 1.7 in 2011, and
14 you're asking for 1.99 in this case?

15 MR. BYRNE: Correct.

16 COMMISSIONER KENNEY: Do you know what
17 OPC's budget is for its ability to prosecute its rate
18 case?

19 MR. BYRNE: I don't know.

20 COMMISSIONER KENNEY: What about MIEC?

21 MR. BYRNE: I suspect theirs is larger than
22 ours, but they haven't told me.

23 COMMISSIONER KENNEY: You think it's larger
24 than that?

25 MR. BYRNE: I can't imagine it -- well, I

1 don't know. They won't tell us what their budget is.

2 COMMISSIONER KENNEY: Did you guys ask?

3 MR. BYRNE: Trust me, my belief is Bryan
4 Cave charges a whole lot more than mid Missouri firms.

5 COMMISSIONER KENNEY: I would agree with
6 that, yeah. Their hourly rate is, probably is, yes.
7 That's probably correct. Did you ask that? Did you guys
8 ask that in a DR?

9 MR. BYRNE: I think we did in a previous
10 case and they objected. I think we just gave up.

11 COMMISSIONER KENNEY: But you would agree
12 with me that your budget far outstrips OPC's?

13 MR. BYRNE: I think so. I'm sure you're
14 right.

15 COMMISSIONER KENNEY: Essentially they have
16 Ted Robertson, Ms. Meisenheimer and Ryan Kind are the
17 three people that are testifying.

18 MR. BYRNE: But it's not just OPC against
19 us. It's all the people on the Staff, all the people on
20 MIEC, it's all the people for 15 other parties. We're
21 alone in this case. All the other parties are against us,
22 with the possible exception of Kansas City Power & Light
23 Company. I mean, that's how I look at it. I'm -- that's
24 how I look at it.

25 COMMISSIONER KENNEY: I'm not sure I'd

1 characterize it as Ameren against the world, but that is a
2 way to look at it, certainly.

3 But I guess what I'm saying is that, in
4 terms of having discretion over when your case is filed,
5 how it's prosecuted and what you're going to spend, right,
6 I mean, it's -- the regulatory scheme as it is now is such
7 that, assuming that the costs are prudent, there's an
8 insurance policy in place to pay for all those costs?

9 MR. BYRNE: We should be held to a strict
10 prudence standard. If we're imprudent in how we do it,
11 that's one thing, but it's necessary, and particularly if
12 we filed frivolous cases that weren't justified by the
13 costs that we're incurring, that would be a whole
14 different thing.

15 But in every one of the cases that we've
16 filed, I think all the other parties have acknowledged
17 that we need a pretty significant rate increase and then
18 we fight about how much it is. There's no doubt that
19 we -- that we're -- we need to have these rate increases.
20 And so in that situation where the rate case is a
21 legitimate rate case and where we're prudent in managing
22 the costs of prosecuting that case, I believe we're
23 entitled to 100 percent of those costs.

24 COMMISSIONER KENNEY: So then ultimately
25 you would not leave any room for the notion that rate case

1 expense is distinguishable from those expenses associated
2 with the generation, delivery and transmission of
3 electricity?

4 MR. BYRNE: I do not believe they're
5 different. I believe a lot of those other expenses our
6 shareholders get value from, too, things like billing our
7 customers, things like building generation facilities,
8 things like getting access to cash from the financial
9 markets. I think all those things benefit our
10 shareholders, but they're an incident of being in the
11 utility business, and filing needed rate cases is also an
12 incident of being in the utility business. We should be
13 entitled to recover our reasonable costs of doing so.

14 COMMISSIONER KENNEY: Why not share with
15 the shareholders with, like, executive bonuses and stuff?
16 If everything's an incident of providing service --

17 MR. BYRNE: Sure. If those were -- now,
18 our executive bonuses aren't charged to customers because
19 we've chosen to take them out, and I think that's
20 appropriate. But if it was a reasonable cost of service,
21 the customers should pay the reasonable cost of providing
22 them service, and that includes things like asking for
23 needed rate increases.

24 COMMISSIONER KENNEY: Okay. I just -- I'm
25 just -- this is a question I ask of you, and I'll probably

1 ask it of Ms. Barnes, too. It's policy. It's not -- it's
2 not strictly based upon the testimony.

3 Let me ask one final question. You made an
4 argument that this -- you're not aware of any other
5 jurisdiction in the country that calls for equal division
6 of rate case expense between shareholders and ratepayers?

7 MR. BYRNE: Correct.

8 COMMISSIONER KENNEY: Is that the basis
9 upon which we should be making that decision, though,
10 about whether any other jurisdiction in the United States
11 does it?

12 MR. BYRNE: No. I mean, I understand the
13 analogy to the plant in service accounting. I mean,
14 that's a fair point. I don't think that should determine
15 the outcome of this issue, nor should it determine the
16 outcome of the plant in service accounting issue, but it's
17 a relevant consideration, I think.

18 COMMISSIONER KENNEY: Are you aware of any
19 jurisdictions that have explored it by statute and didn't
20 get it passed?

21 MR. BYRNE: I'm not, but I really don't --
22 I wouldn't know. So that doesn't tell you one way or
23 another.

24 COMMISSIONER KENNEY: All right. I don't
25 have any other questions.

1 CHAIRMAN GUNN: I actually have a couple
2 that I -- I was going to let you off easy, but I decided
3 not to.

4 One of the things that you said is that as
5 evidence of your trying to get 100 percent is that you've
6 been granted rate increases, but on certain issues within
7 rate -- within rate cases we make the determination that
8 the company -- the request by the company is absolutely
9 unreasonable.

10 MR. BYRNE: That's true.

11 CHAIRMAN GUNN: So if that's -- so if -- so
12 why should then, based on that assertion, should you be --
13 should you get recovery of costs that we have determined
14 that the filing of that particular issue, the prosecution
15 of that particular issue was borderline frivolous or
16 unreasonable?

17 MR. BYRNE: Well, I do think -- I do think
18 if it was so -- if it was frivolous or unreasonable for us
19 to have prosecuted the issue, I don't think just because
20 you lose the issue you should have the legal expenses
21 thrown out.

22 CHAIRMAN GUNN: I'm not saying that.

23 MR. BYRNE: Yes, if we were unreasonable
24 and frivolous and imprudent in bringing the issue before
25 the Commission, I think that's a legitimate thing for you

1 to consider.

2 CHAIRMAN GUNN: I want to separate out
3 prudence because I've got a separate question on prudence.
4 I just -- and let me be clear that our examination of the
5 rate case expense in no way reflects on the quality of
6 lawyers. I think you've gone through. I think these
7 are -- we've got some -- these processes go easier because
8 of the quality of lawyers that we have here, both
9 internally, agency staff and external folks. I think
10 we're all thankful that there is a group of qualified
11 people that do that.

12 But with there being -- and I get your
13 point about billing and all that, all that other things
14 are benefit, benefit the shareholders, but customers pay
15 for that through the regulatory process. So there is
16 nothing to stop -- you talk about how you may have very
17 prudently managed the lawyers and the rates and everything
18 so that internally your budgets are fine, but the only
19 thing that keeps you -- the only thing that -- if we
20 granted 100 percent of rate case expense 100 percent of
21 the time, the only thing that keeps -- and this is a
22 broader policy issue. The only thing that keeps you doing
23 that is Ameren's desire to be a good part of the process.

24 In one of the last cases, we had a -- we
25 had a single month bill from a law firm that was equal to

1 the entire year's budget of the Office of the Public
2 Counsel.

3 MR. BYRNE: I don't think you should grant
4 every -- I don't think you should allow every rate case
5 expense that every utility attempts.

6 CHAIRMAN GUNN: That's what I want to just
7 clarify, that this Commission does not only have the
8 authority but sometimes is well within its rights to make
9 a determination as to whether or not to award 100 percent
10 of the rate case expense. It shouldn't be automatic.
11 There should at least be an inquiry into whether those
12 expenses are reasonable?

13 MR. BYRNE: Absolutely. And, for example,
14 if you thought Mr. Tripp's fees were unreasonable or his
15 hourly rate or he frivolously -- I don't know. There is
16 an element of us having the right to prosecute our case as
17 we see fit. If he did something frivolous or imprudent or
18 his hourly rate's just ridiculously too high, I think this
19 Commission has thrown out hourly rates or adjusted hourly
20 rates that they found to be too high. But usually they
21 use the mid Missouri standard as what they aspire to.

22 CHAIRMAN GUNN: And again, this is a
23 broader policy question that I'm asking. I actually plan
24 to ask the same questions to the other utilities that come
25 in.

1 But the second question is, is under a
2 prudence standard, doesn't -- isn't it much more difficult
3 to determine -- don't we have -- shouldn't we go by a
4 reasonableness standard, because doesn't the prudence
5 standard potentially -- isn't a prudence standard
6 potentially defeated by the attorney/client privilege? I
7 mean, how do we make a determination whether an argument
8 or a presentation was prudent within the confines of the
9 attorney/client privilege? Because you are absolutely
10 entitled to have very candid conversations with your
11 attorneys. Rate case strategy is imperative to this.
12 People take positions on certain items for a -- for
13 strategic reasons or tactical reasons rather than actually
14 believing in them, which is all part of this process.

15 So doesn't the prud-- if we only go by the
16 prudence standard, can't -- isn't it -- isn't that a
17 problem based on the attorney/client privilege?

18 MR. BYRNE: I think -- I think you could
19 apply the prudence standard based on the way the issue was
20 presented to the Commission. I don't think you'd have to
21 get -- I don't think you'd have to go behind the issue to
22 judge the prudence, you know.

23 CHAIRMAN GUNN: I understand. I
24 understand. And I think it's a difficult -- and I guess
25 the reason I -- maybe we should use reasonableness in rate

1 case expense synonymous with --

2 MR. BYRNE: I think the standard in
3 Missouri under Missouri law for a utility spending money
4 on things that are -- things for its business is the
5 prudence standard, and I think that is the standard, you
6 know, and I think it's an appropriate standard, even in
7 the case of rate case expense.

8 CHAIRMAN GUNN: And one, in your opinion,
9 that can be judged based upon performance in the open
10 hearing without having to go through the -- lifting the
11 veil of the attorney/client privilege?

12 MR. BYRNE: Yes. And it's led to some
13 disallowances of expenses and I think appropriate
14 disallowances of expenses, too.

15 CHAIRMAN GUNN: I appreciate it. Thanks.

16 JUDGE WOODRUFF: Commissioner Jarrett?

17 COMMISSIONER JARRETT: You're aware that
18 the Commission opened a docket to look at Commission rules
19 and practices regarding rate case expense?

20 MR. BYRNE: Yes.

21 COMMISSIONER JARRETT: I believe that was
22 File No. AW-2011-0330. Does that sound right?

23 MR. BYRNE: That does sound right.

24 COMMISSIONER JARRETT: And I believe that
25 that case was opened on April 7th of 2011. Does that

1 sound about right?

2 MR. BYRNE: Sounds about right.

3 COMMISSIONER JARRETT: And then the 27th of
4 April 2011, we issued an order directing Staff to
5 investigate and open a repository file. Does that sound
6 right?

7 MR. BYRNE: That sounds right.

8 COMMISSIONER JARRETT: And I believe in
9 that order we directed Staff to take a look at what other
10 states are doing regarding rate case expense and also what
11 other utilities in this state are doing regarding rate
12 case expense. Is that your understanding?

13 MR. BYRNE: Yes.

14 COMMISSIONER JARRETT: And then on
15 June 29, 2011, Staff filed a status report. Does that
16 sound about right?

17 MR. BYRNE: That does sound about right.

18 COMMISSIONER JARRETT: And is it your
19 recollection that Staff basically said we're getting that
20 information and as soon as we get information in, we'll
21 file a report?

22 MR. BYRNE: Yes.

23 COMMISSIONER JARRETT: That was 15 months
24 ago, and Staff hasn't filed a report yet, have they?

25 MR. BYRNE: Not to my knowledge.

1 COMMISSIONER JARRETT: Do you have any
2 knowledge why?

3 MR. BYRNE: No, I really don't. I think --
4 I'm not sure why.

5 COMMISSIONER JARRETT: Okay. Thank you.
6 Appreciate it, Mr. Byrne.

7 JUDGE WOODRUFF: Thank you. Opening for
8 Staff.

9 MR. THOMPSON: One moment. May it please
10 the Commission?

11 Staff on this issue has kind of a median
12 position between that of the company and that of the
13 Public Counsel, and, in fact, our position is much closer
14 to that of the company than it is to that of the Public
15 Counsel.

16 Staff proposes that one and a half million
17 dollars be put in revenue requirement for the cost to the
18 company of prosecuting this rate case, and that's on an
19 18-month basis. So it works out to an annual revenue
20 requirement amount of \$1 million even. That's based on
21 Staff's review of a number of past rate case costs and
22 estimates brought by this company.

23 This company's estimate of what it's going
24 to cost them to do this rate case is approximately
25 \$1.9 million that they've proposed, it's my understanding,

1 to amortize on a 15-month basis, which works out to about
2 one and a half million dollars per year.

3 But Staff has noticed that this company has
4 consistently overestimated the cost of its rate cases by
5 about 21 percent. So we would discount their estimate by
6 21 percent, and as I indicated also, put it on an 18-month
7 basis based on what we know about when they're planning to
8 file their next case.

9 Now, it's important to note that no one
10 knows how much a rate case costs until it's over and all
11 the bills have come in and been paid. So as of right now,
12 no one knows what this rate case is going to cost. We
13 only know the estimate that the company has proposed and
14 then we have some figures on what they have paid as of a
15 certain date that they've responded to in DRs and the
16 like.

17 And I should also indicate that based on
18 the testimony earlier today by Ms. Barnes about the next
19 case being --

20 JUDGE WOODRUFF: I'll caution you that was
21 highly confidential.

22 MR. THOMPSON: Okay. Thank you, because I
23 was just about to say that date, so I won't. But let me
24 just say that because of that date, that I will not say,
25 that secret date, that will affect Staff's figure, and

1 that will have the effect of reducing Staff's figure on an
2 annual basis to about \$600,000.

3 It's interesting, the questions that were
4 being asked about rate case expense and how to charge it
5 and how to -- whether or not to divide it between the
6 shareholders and ratepayers. Certainly all of us who
7 attended any of the local public hearings I think can say
8 with confidence that those people didn't want to hear that
9 they were paying for the privilege of having their rates
10 increased.

11 But that's only one very small factor to
12 consider. Before I came here quite some years ago, I
13 worked for a public interest law firm where we brought
14 lawsuits under the Federal Civil Rights Act and the
15 Individuals with Disabilities Education Act and the ADA,
16 the Americans with Disabilities Act, and all of those
17 cases have fee shifting provisions based on the success of
18 the litigation, and I'm sure you're familiar with how
19 they're calculated.

20 The federal judge is an expert on what
21 lawyers ought to be paid and what legal services are
22 worth, and if you prevail in litigation, you submit
23 detailed accountings of your fees, your hours and what
24 those hours were expensed on and what your expenses are,
25 and what they call a load star is then calculated based on

1 the prevailing hourly rates for that kind of work in the
 2 locality where the work was done, where the case was
 3 brought. So if you bring it in St. Louis, it's St. Louis
 4 rates. Doesn't matter that these public interest
 5 attorneys are all out in central Missouri. And then the
 6 federal judge increases or more often decreases that
 7 amount based on the success that was achieved in all the
 8 various issues in the case. And I can tell you they
 9 winnow through those hours and they winnow through those
 10 expenses sternly, sternly. So that's something the
 11 Commission could consider in the future.

12 Thank you.

13 JUDGE WOODRUFF: Questions?

14 COMMISSIONER JARRETT: I wanted to ask you
 15 the same questions I asked Mr. Byrne about the working
 16 docket that we opened on the rate case expense. Why
 17 hasn't Staff filed a final report in that case?

18 MR. THOMPSON: It's my understanding there
 19 is a report. I myself am but a small cog in a big
 20 machine. I do not know the answer to your question. I
 21 can go find it out and I can bring it back to you, but as
 22 I stand here, I do not know the answer.

23 COMMISSIONER JARRETT: It's your
 24 understanding that there is a report that is --

25 MR. THOMPSON: That is my understanding.

1 COMMISSIONER JARRETT: -- been completed
2 but not filed?

3 MR. THOMPSON: That is my belief.

4 COMMISSIONER JARRETT: I guess I'd like
5 some information on why that hasn't been filed.

6 MR. THOMPSON: Yes, sir. I'll bring that
7 back.

8 JUDGE WOODRUFF: Commissioner Kenney?

9 COMMISSIONER KENNEY: So you heard the
10 dialog between Mr. Byrne and myself --

11 MR. THOMPSON: Yes, sir.

12 COMMISSIONER KENNEY: -- about those
13 expenses that provide service to the ratepayers should be
14 borne by ratepayers and those that don't should be borne
15 by the shareholders. Do you agree with that general
16 proposition?

17 MR. THOMPSON: Absolutely.

18 COMMISSIONER KENNEY: Do you think that
19 rate case expense is distinguishable from plant and other
20 items and assets that directly provide service to the
21 ratepayer?

22 MR. THOMPSON: It's my personal belief that
23 the shareholder should bear a significant portion of the
24 rate case expense. That's not Staff's position in this
25 case.

1 COMMISSIONER KENNEY: Under what theory?

2 MR. THOMPSON: That it provides at least as
3 much benefit to the shareholders as it does to the
4 ratepayers.

5 COMMISSIONER KENNEY: Well, but then how
6 would you respond to the argument that, I mean, pretty
7 much everything that the utility does provides a benefit
8 to the shareholders theoretically? I guess it brings back
9 my other question. How do you distinguish rate case
10 expense from everything else? Why should it be subject to
11 that special treatment?

12 MR. THOMPSON: Because it's different, I
13 think. It's different. In rate case expense when you're
14 trying to increase prices, you're also trying to increase
15 profit. That's what return on equity is ultimately,
16 profit. So what benefit does profit confer on the
17 ratepayers?

18 Now, we can make an argument that, well, if
19 there wasn't a profit there would be no investment, and,
20 in fact, that's absolutely true, but that's a little bit
21 removed, I think, from when you're saying here's an
22 advertisement, does it benefit the ratepayers, does it
23 benefit the shareholders and to what proportion?

24 The rate case brings a benefit to both
25 sides, both sides. The shareholders have a chance to have

1 the profit that they are earning addressed, increased if
 2 necessary, and, in fact, we heard an awful lot of
 3 testimony about exactly that so far in this case.
 4 And that's a legitimate thing to do in a rate case and
 5 necessary thing to do in a rate case, but no one can deny
 6 that it benefits the shareholders.

7 At the same time we also look at how will
 8 the ratepayers be benefited. After all, they need plant
 9 sufficient to serve the load under whatever conditions.
 10 They need transmission that's adequate and safe and that
 11 operates. They need skilled labor that can do the work,
 12 and we understand all that. That all has to be addressed,
 13 and the ratepayers certainly need to pay for that.

14 I think it is a -- it confers a shared
 15 benefit, partly on the shareholders, partly on the
 16 ratepayers. And while I can't tell you how to divide
 17 them, I know there are accountants here who could.

18 COMMISSIONER KENNEY: Are you aware of any
 19 learned treatises or texts, law review articles, Public
 20 Utility Fortnightly articles that support the position
 21 that I understand you've just advocated on your own
 22 behalf?

23 MR. THOMPSON: No, I am not.

24 COMMISSIONER KENNEY: Are you aware of
 25 anywhere else in the country where this issue perhaps has

1 not found its way into regulatory policy but has been
2 explored or looked at?

3 MR. THOMPSON: I'm not aware of any, no,
4 sir.

5 COMMISSIONER KENNEY: Do you think that
6 your position that you just advocated, an equal sharing
7 between ratepayers and shareholders, is supported by
8 traditional notions of regulatory policy and public
9 utility regulation?

10 MR. THOMPSON: No, absolutely not. The
11 traditional approach is that the ratepayers bear
12 100 percent of the cost of the rate case. After all, an
13 unregulated business can adjust its charges and its rates
14 and its regulations for service any time it wants and any
15 manner it wants, and customers vote with their feet by
16 going to get that service someplace else if they don't
17 like it. But this is a very unusual situation. The
18 customers can't vote with their feet, unless they move
19 outside of the service area.

20 COMMISSIONER KENNEY: Do you think it's
21 consistent with the notion that expenses that benefit
22 shareholders should be charged to shareholders and those
23 that benefit the ratepayers should be charged to the
24 ratepayers?

25 MR. THOMPSON: I believe it is.

1 COMMISSIONER KENNEY: Why does not Ameren
2 not charge executive compensation and bonuses to the
3 ratepayers?

4 MR. THOMPSON: It's consistently been
5 Staff's position that incentive compensation can be
6 charged to ratepayers. It depends on how it's calculated,
7 how it's figured. If it's based on increasing earnings
8 per share or value per share, then that is considered to
9 be a shareholder benefit, and that type of executive
10 compensation or incentive compensation has been typically
11 disallowed.

12 If on the other hand it provides -- it's
13 linked to increasing service, improving efficiency,
14 something of that kind, then it is -- it does go into
15 rates.

16 COMMISSIONER KENNEY: I don't have any
17 other questions. Thank you.

18 MR. THOMPSON: Thank you.

19 JUDGE WOODRUFF: Thank you, sir. Public
20 Counsel? And I might add that they are having some
21 technical difficulties.

22 MR. MILLS: Good afternoon. May it please
23 the Commission? I'll be relatively brief. The Commission
24 is fairly well familiar with this issue, and as
25 Commissioner Jarrett has pointed out, has even opened a

1 case to study it.

2 Nonetheless, this is one of the most
3 visceral issues in this case and in any case. Some of the
4 questions from the Bench have revealed that maybe some of
5 you feel the same discomfort with charging ratepayers for
6 rate case expense that I do.

7 The company claims that it's just another
8 expense. I think anybody who's been to any local public
9 hearing, anybody who's thought about this issue, logic,
10 reason and most of all your gut tells you that that's just
11 not the case. There is something fundamentally different,
12 not just in amount but in kind, between asking ratepayers
13 to pay \$600 an hour for a rate of return expert whose sole
14 purpose is to convince you to raise their rates than it is
15 to pay the salary of a lineman who goes out in the rain to
16 fix the service. The customers get a distinctly different
17 kind of benefit from the service that the lineman performs
18 than the service that the rate of return consultant pays,
19 and the regulatory process ought to recognize that
20 difference.

21 Now, one of the things that the Commission
22 has recognized in past cases, and I think this was most
23 recently brought up in the last KCPL rate case, is that
24 it's incumbent on the utility to demonstrate that it has
25 processes in place to control costs and that it is, in

1 fact, actually controlling costs.

2 And to that point, I want the record to
3 reflect in this case that during the hearing of the last
4 issue, the income tax issue, the company had present in
5 the hearing room two outside attorneys from two separate
6 firms sitting here through the entirety of the issue even
7 though neither of them contributed whatsoever to the
8 hearing process on that issue. And I don't know that
9 that's happened a lot in this case. It may have happened
10 in all the issues prior to this. I just happened to
11 notice it in the last case because we were leading up to
12 the rate case issue.

13 Whether it's happened a lot or whether it's
14 happened a little, I think that's indicative of a very
15 casual attitude toward cost control. I think if the
16 company were paying for those attorneys and knew that they
17 couldn't recover those costs from their ratepayers, I
18 think they might be more concerned about who's sitting
19 around and who's being paid and who's actually working on
20 behalf of the ratepayers and on behalf of the company.

21 You know, the company takes the point that
22 this -- that the rate case expense is just like any other
23 issue and that the prudence standard ought to apply, and I
24 disagree with that. But even if you do take that tact, I
25 believe in this case that, through the testimony of

1 witness Ted Robertson, Public Counsel has shown that the
2 company, given all of its resources it has in house, that
3 the company has been imprudent in spending money to hire
4 outside consultants and outside attorneys, and the company
5 has not presented evidence to the contrary.

6 So I think given Ted Robertson's testimony,
7 that serious doubt has been raised which shifts the burden
8 to the company to prove prudence, and the company has not
9 done so. The company has not said that the attorneys
10 inside the company cannot perform these duties. It has
11 not said that the cost of capital witnesses can't do it.
12 They just said, oh, gosh, these guys are busy. They
13 didn't produce any time sheets. They haven't shown what
14 these people are doing. I think they have failed to prove
15 that they are prudent in using -- in not using their
16 in-house people first.

17 You know, one of the questions that came up
18 with Mr. Byrne and Mr. Thompson is, are there analogies,
19 are there other kinds of costs that are treated like
20 Public Counsel proposes to treat rate case expense? And
21 yes, there are. Advertising is one of them.
22 Traditionally the Commission looks at advertising
23 sometimes literally ad by ad, message by message to
24 determine whether the advertising benefits customers or
25 benefits shareholders. When it determines that a

1 particular expenditure benefits shareholders, it does not
2 allow that cost to be charged to ratepayers. May be
3 perfectly prudent, may be perfectly reasonable, but if it
4 doesn't benefit ratepayers, it does not go into rates.

5 Incentive compensation, you just had some
6 discussion about that. That is another analogy. If
7 incentive compensation is tied to acts that actually
8 benefit ratepayers, then it's allowed in rates. If it's
9 tied to acts like simply increasing earnings per share,
10 then it's not included in rates. There are reported
11 Commission decisions that have made that distinction. I
12 don't think that we're plowing new ground with the
13 proposals that we're talking about in rate case expense.

14 And then the final thing I want to mention
15 with respect to rate case expense is -- and for the
16 record, I will note that my annual budget for this year is
17 \$700,000, so it is considerably less than the amount that
18 Ameren is paying in this case.

19 But the notion that somehow it's the world
20 against the company I think is misplaced. In fact, I
21 think Mr. Byrne went so far as to say that the Staff is
22 against the company. The Staff cannot be against the
23 company. The Staff has -- the only role that the Staff
24 can play in this case is as a neutral party. The Staff by
25 law can't represent the public interest. The Staff by law

1 can't represent a particular municipality or any point of
2 view. So it must be a neutral interest.

3 And if you take away the Staff as an
4 opponent of the company, then it makes -- it makes the
5 argument that it's Ameren against the world a lot less
6 compelling. Thank you.

7 JUDGE WOODRUFF: Questions?

8 CHAIRMAN GUNN: Couple questions. So let's
9 assume everything you've just said is absolutely
10 100 percent accurate.

11 MR. MILLS: Thank you.

12 CHAIRMAN GUNN: You're welcome. And let's
13 also -- let me take responsibility for the docket not
14 proceeding as quickly as it should. So with those two,
15 with those two things happening, isn't -- isn't there a
16 question because the Commission said we are -- we're going
17 to deal with this in a docket, in a rulemaking rather than
18 in a rate case process, doesn't that maybe in the short
19 term argue for saying, you know what, that that's the
20 policy statement we made and, yes, you're right, we
21 probably should be farther along than we are, but the fact
22 is that we're not.

23 So is there a fairness question about us
24 doing that in this case after we've made policy
25 pronouncements that we were going to do it in the docket?

1 MR. MILLS: I don't think so, because
2 Ameren certainly as much as any utility in the state has
3 been on notice that Public Counsel is going to challenge
4 them on rate case expense regardless of whether the
5 Commission has a docket that's open and pending. Ameren
6 knows that they're at risk of this. I don't think they
7 can claim unfair surprise if the Commission were to
8 disallow some rate case expense and say, oh, we never
9 thought we were at risk because the Commission had that
10 open docket that has not been going anywhere. If that's
11 your point, I don't think that's a valid point. I don't
12 think that's a valid defense that Ameren can raise.

13 CHAIRMAN GUNN: Well, but it's a -- I'm not
14 really looking at it from a defense that Ameren's raising.
15 I'm looking at it -- for example, I wanted to talk about a
16 rate stabilization mechanism, and everybody said we didn't
17 have time to do it, so we're not going to do it. I mean,
18 theoretically I believe I have the legal authority to do
19 it, and I could ask ROE witnesses and do that. I mean,
20 would that be fair?

21 I mean, one of the things that people
22 brought up was the fundamental fairness about not
23 really -- that we should do it somewhere else. So once we
24 agree to do it somewhere else, then we really take it off
25 the table for this -- for this conversation in this

1 hearing.

2 MR. MILLS: But the difference between that
3 issue and the rate case expense issue is not only has the
4 rate case expense issue been in this case since the direct
5 testimony, but it's been in the prior cases, too. So it's
6 not a brand-new issue that's coming in late. It's one
7 that has been litigated from the beginning of this case
8 and in prior cases.

9 CHAIRMAN GUNN: In determining prudence,
10 how do we get around -- and this, quite frankly, was a
11 problem in one of the last cases where we were faced with
12 properly asserted attorney/client privilege, which made it
13 difficult for us to then make a line-by-line judgment, and
14 maybe you're not -- it sounds like you're more advocating
15 a sharing mechanism, which is we'll set policy about how
16 we split these things, but you also in your opening
17 statement made the argument that said now the burden has
18 shifted based on testimony for Ameren to have to prove
19 prudence. Well, how do they do that if they -- without
20 putting themselves at a disadvantage and giving up the
21 privilege, the attorney/client privilege?

22 MR. MILLS: First of all, just to clarify
23 our position, we are advocating a sharing, but first we're
24 advocating --

25 CHAIRMAN GUNN: Specific disallowances?

1 MR. MILLS: Right, specific disallowances.
 2 With respect to the specific disallowances, you know,
 3 frankly if the company finds itself at a position where it
 4 believes that it has acted prudently but can't prove it
 5 without waiving its attorney/client privilege, you know,
 6 then I think they lose on that issue. They get the choice
 7 of deciding whether to prove prudence or whether to
 8 continue to assert a privilege.

9 If they -- to my mind, it's the same sort
 10 of thing as with highly confidential information. If they
 11 have information that they believe, you know, proves a
 12 particular point but they're not willing to give up that
 13 information, if they have the burden of proof, they can't
 14 win that issue.

15 CHAIRMAN GUNN: But it's different with
 16 highly confidential because we're allowed to take a look
 17 at the highly --

18 MR. MILLS: I'm talking about highly
 19 confidential information that they won't provide, and it
 20 may be that the only category of that is privileged
 21 information. So there may not be a different category,
 22 but I think the point is the same. If they have the
 23 burden of proof and they chose not to bring forward
 24 information that could help them carry the burden simply
 25 because they can and choose to assert an attorney/client

1 privilege, then I don't think they can win that issue.

2 And frankly, my -- I don't have a lot of
3 sympathy for that position because they could certainly
4 waive attorney/client privilege if they need to if they
5 want to win the issue.

6 CHAIRMAN GUNN: They could, but you're also
7 in a position where you're making the assertion that I
8 look at costs and I am -- for example, you made an
9 assumption in your opening statement that the two lawyers
10 that were sitting in the back of the room were getting
11 paid, were getting paid a certain hourly rate and were not
12 under any sort of other alternative fee contract. So you
13 made that assumption.

14 So would it be enough to have testimony
15 from Mr. Robertson come in saying there were two lawyers
16 sitting in the room who are employees of a large law firm
17 whose average billing rate is X, they were there, they
18 didn't participate in the hearing, but they were sitting
19 in the back of the room for four hours, and therefore it
20 was imprudent? Is that enough to shift the burden?

21 MR. MILLS: I think so.

22 CHAIRMAN GUNN: Really?

23 MR. MILLS: Yeah.

24 CHAIRMAN GUNN: Not knowing that they may
25 not be billing their clients, they may be billing other

1 clients while they're on the phone or not having any of
2 that and then you're going to force -- you're going to
3 force then those lawyers, because there might be
4 privileged issues that those lawyers have with other
5 clients that is not the company's chance to do it, to say,
6 if I'm working for another client, that -- the fact that I
7 represent that client or might be doing work for another
8 client may be privileged information. The privilege goes
9 pretty -- I mean, attorney/client privilege is pretty
10 broad.

11 MR. MILLS: But in that particular
12 circumstance, the hypothetical that you've just
13 illustrated, all it takes is for the company to say they
14 were not billing us for that time. We didn't pay for it.
15 The attorney doesn't have to prove who they were billing
16 or who was paying that.

17 CHAIRMAN GUNN: So you just have to make an
18 allegation, the mere allegation without any proof of any
19 sort of -- any sort of imprudency? The mere allegation
20 shifts the burden, forces them to break attorney/client
21 privilege in order to prove prudence?

22 MR. MILLS: First of all, that's not the
23 situation in this case. This is a hypothetical that we're
24 talking about.

25 CHAIRMAN GUNN: Absolutely.

1 MR. MILLS: I think, yes, if we had
2 evidence that two attorneys who are clearly working on the
3 case, have been hired to work on the case, are in the
4 hearing room not doing anything apparently constructive, I
5 think pointing that out and making an adjustment for it, I
6 think that's enough to shift the burden and to make the
7 company prove that they were doing something constructive.
8 Again --

9 CHAIRMAN GUNN: I will tell you, from a
10 policy standpoint, that's troubling to me on a different
11 and a lot of different levels and I'm not -- one of the
12 things that I -- when making kind of a broad policy
13 statement, you always have to worry about what mischief
14 can be created by that and what gaming of the system you
15 can make. And so that -- I'm not saying that I -- I mean,
16 I just need to think about that assertion because there's
17 -- I can't put my finger on it, but it's troubling me. I
18 think it's because of the potential mischief that could
19 potentially happen.

20 But I think one of the other broader
21 points, which is something that I wanted to put on the
22 record and I will say to everyone here, is that I think
23 under-funded Public Counsel's office is as much of a
24 danger to fair proceedings than any other, when we talk
25 about rate case expense, any other single issue. And I

1 think the Legislature should take a very hard look at that
2 and realize that these proceedings work better when the
3 parties to the case can put on their case the way that
4 they're supposed to put it on, whether it's MIEC, whether
5 it's the company, whether it's the Staff or whether it's
6 Public Counsel. One of the tenets of these proceedings is
7 that everyone has an equal opportunity to present their
8 case. That doesn't mean that you should have unlimited
9 funding. It doesn't mean that people aren't resource
10 constrained. MIEC, Ameren, they all might be resource
11 constrained in their own particular way, but having the
12 opportunity to do that.

13 And if Public Counsel -- I'm not saying
14 this happened in this case, but just as a general position
15 statement, that if Public Counsel cannot present on an
16 issue and fully represent the public because their funding
17 has been cut through whatever budget is presented through
18 the administration of the legislation or legislature, I
19 think it's a real danger to these proceedings.

20 So I take your points very seriously, and I
21 think we're going to look at this. I do have a concern
22 about -- one of the reasons why we do things in the docket
23 is so that we don't create unintended consequences through
24 report and orders and we have the opportunity to do it. I
25 do take responsibility for not going as quick as it

1 should.

2 My question is whether we should -- whether
3 the alternative is to speed up that process rather than do
4 policy pronouncements in this case. Haven't made the
5 decision yet. Obviously it's a lot to think about. But I
6 appreciate your answer.

7 JUDGE WOODRUFF: Commissioner Jarrett?

8 COMMISSIONER JARRETT: Yes. Thank you,
9 Judge. Let me echo Chairman Gunn's last comments about
10 funding. I too have always taken the position that I
11 think the OPC deserves to be adequately funded to
12 prosecute or to represent the ratepayers in these cases,
13 so --

14 MR. MILLS: For the record, I agree with
15 both of you.

16 COMMISSIONER JARRETT: I do have some
17 questions, though, about the -- about the sharing of the
18 expenses between ratepayers and shareholders on the rate
19 case expense issue. I think in -- I can't remember which
20 rate case it was when we were discussing this, but I think
21 you and I had sort of the same conversation, and
22 Commissioner Kenney was asking Mr. Byrne about other
23 jurisdictions and whether there were treatises or law
24 review articles, and I think your answer was then you
25 weren't aware of any.

1 MR. MILLS: Right.

2 COMMISSIONER JARRETT: I'm certainly not
3 aware of any either. And I know that you are a member of
4 the National Association of State Utility Consumer
5 Advocates, correct?

6 MR. MILLS: Yes.

7 COMMISSIONER JARRETT: NASUCA is the
8 synonym.

9 MR. MILLS: Yes.

10 COMMISSIONER JARRETT: Synonym's not right.

11 MR. MILLS: Acronym.

12 COMMISSIONER JARRETT: Acronym. Thank you.
13 I got my nyms wrong there. Has NASUCA taken any type of
14 position on sharing of rate case expense between
15 shareholders and ratepayers?

16 MR. MILLS: NASUCA as an organization
17 operates a lot like NARUC does, and we take positions
18 through resolutions. To my knowledge, NASUCA has never
19 promulgated a resolution on rate case expense. I don't
20 believe officially we have a position on rate case
21 expense.

22 COMMISSIONER JARRETT: Thank you. That's
23 all I have, Mr. Mills.

24 JUDGE WOODRUFF: Commissioner Kenney?

25 COMMISSIONER KENNEY: Mr. Mills, thank you.

1 And I agree with my colleagues that said you guys should
2 be adequately funded. Frankly, a process that doesn't
3 adequately fund the Office of the Public Counsel is
4 arguably an inherently unfair process.

5 Regarding the rate case expense, you
6 indicated that there is an argument where you could reason
7 by analogy to executive compensation that's based upon
8 earnings per share and advertising that's purely
9 advocating something that benefits the ratepayers. You
10 said there are published cases. Could you provide
11 citations to those cases?

12 MR. MILLS: And I'm talking about
13 Commission decisions, not necessarily court cases.

14 COMMISSIONER KENNEY: Could you provide
15 citations to those in this docket and also in our rate
16 case expense docket?

17 MR. MILLS: Sure.

18 COMMISSIONER KENNEY: And in that regard, I
19 think Chairman Gunn shouldn't take responsibility alone
20 for the failure of that docket to advance. It's something
21 that I advocated at the time that we opened the docket.
22 It's an issue which I'm interested in, and I think I bear
23 equal responsibility for that docket languishing. I
24 suspect that after we finish these rate cases, it won't
25 languish any longer. So I don't want you to take on that

1 burden by yourself. I think that that would be helpful if
2 we had that information filed in this case and that rate
3 case docket.

4 And I'll ask you the same question I asked
5 Mr. Thompson. Do you think it's consistent with the
6 regulatory theory that those expenses that benefit the
7 ratepayer should be borne by the ratepayer and those that
8 benefit the shareholder should be borne by the
9 shareholder?

10 MR. MILLS: I do.

11 COMMISSIONER KENNEY: Do you also think
12 that, in so doing, that that action in and of itself would
13 provide an incentive for the utility to -- and I'm not
14 talking about any specific utility, but a utility in
15 general to be especially mindful of its rate case expense?

16 MR. MILLS: Yes, I do, and I -- I don't
17 think it would cause utilities to fold and do a terrible
18 job presenting rate cases. I think it would just give
19 them the incentive to be more efficient than they are now.

20 COMMISSIONER KENNEY: You said that rate
21 case expense is different in quality and kind from other
22 things that are used to provide service to the consumer.
23 It -- well, never mind. I don't have any other questions.
24 I lost my train of thought. That's it.

25 JUDGE WOODRUFF: Do you want to jump in,

1 Commissioner Stoll?

2 COMMISSIONER STOLL: Your Honor, I have no
3 questions, but I also have to say that I believe that the
4 Office of the Public Counsel needs to be adequately
5 funded.

6 MR. MILLS: I agree with all four of you.
7 Thank you very much.

8 JUDGE WOODRUFF: All right. That completes
9 the mini openings on rate case expense. Move to the first
10 witness. We do have witnesses. Lynn Barnes is the first
11 witness. Welcome back to the stand.

12 THE WITNESS: Happy to be here.

13 JUDGE WOODRUFF: You are still under oath.

14 THE WITNESS: Yes.

15 LYNN BARNES testified as follows:

16 DIRECT EXAMINATION BY MR. TRIPP:

17 Q. Ms. Barnes, your testimony you've offered
18 on this issue, rate case expense, is contained in your
19 rebuttal, which has been admitted as 12HC and -- 12HC and
20 NP and your surrebuttal testimony as Exhibit 13, correct?

21 A. Yes.

22 MR. TRIPP: Tender the witness for
23 cross-examination.

24 JUDGE WOODRUFF: And for cross-examination
25 we begin with Public Counsel.

1 MR. MILLS: We do? Okay.

2 CROSS-EXAMINATION BY MR. MILLS:

3 Q. Okay. Ms. Barnes, we had some questioning
4 earlier in context of the PISA issue about the timing of
5 your next rate case. Do you recall that?

6 A. Yes.

7 Q. Some of that was under seal, so I won't
8 bring that up again, but has any -- has anything changed
9 from your earlier testimony with respect to your knowledge
10 of the timing of your next rate case?

11 A. Not unless we've issued an order in this
12 case since I left.

13 Q. And in addition to that discussion, there
14 was also a discussion you had with Commissioner Jarrett
15 about a two to three-year gap before the filing of your
16 next rate case. Do you recall that discussion?

17 A. Yes.

18 Q. Is the timing of your next rate case,
19 regardless of the fact that it isn't known now, but at
20 least there's some information in the record about when
21 that might be, is that a relevant consideration for the
22 Commission to take into account when determining the
23 amount of rate case expense to allow in this case?

24 A. No. Actually, I don't think it is, and I
25 guess this is the way I think about these expenses. As I

1 understand the regulatory process, we use historical data
2 and we normalize things where we think that's more
3 reasonable to come with. Really, we're using all of that
4 information in order to determine what a proper cost of
5 service should be for future rates when they go into
6 effect.

7 So in my mind, normalizing these expenses
8 like we normalize other expenses makes sense to me, and
9 whether or not we file another rate case imminently or in
10 several years, these costs, whether you take the position
11 we over-collected or under-collected them, it's going to
12 be just a cost of service.

13 And whatever our cost of service is in the
14 future, how it was derived using these historical numbers,
15 they lose their character when they just become part of
16 the cost of service in the future. And so we may
17 over-collect on rate case expense, then we under-collect
18 on labor or we under-collect on something else, and at the
19 end of the day it all sort of comes out in the wash.

20 So to me, trying to figure out when we're
21 going to file our next rate case is not a good measure to
22 determine how we should set rates for rate case expense in
23 the past. If these rate case expenses are deemed to be
24 prudently incurred, and we've got some history now because
25 we've been filing rate cases frequently that we can

1 normalize those expenses. It would seem that that would
2 be a reasonable approach, similar to how we normalized
3 expenses for other things before we set rates in the
4 future.

5 **Q. And if you take that approach, if you**
6 **entirely discount the timing of a possible future rate**
7 **case, then the other alternative is simply to look at your**
8 **past history, correct, and normalize --**

9 A. Sure.

10 **Q. -- from the past history?**

11 A. Right.

12 **Q. Would it make sense to normalize the**
13 **frequency of rate case filings over, say, the last 20**
14 **years?**

15 A. I guess you could pick whatever normalized
16 period you want. We've got some pretty -- again, things
17 change over time, and we've got, you know, the last five
18 years or so we've been filing rate cases. We've got about
19 a 15-month gap between each of those. The amount of costs
20 that we've incurred is comparable because it's a near term
21 period. I'm not sure that rate case expenses incurred 20
22 years ago would be comparable to the cost of rates in the
23 current period, inflation and the like.

24 **Q. If we're just looking at the timing of rate**
25 **cases, would not a longer history give a better**

1 **indication? If we're entirely discounting what we know**
 2 **about the future, wouldn't a longer period of history give**
 3 **us a better guide to the period over which we should**
 4 **amortize whatever the cost level is in this case?**

5 A. No. I'm not sure why these should be
 6 treated any differently than any other expense. I mean,
 7 we go back and look at how we normalized in other rate
 8 cases, we've normalized plant maintenance or we've
 9 normalized storm costs or we've normalized vegetation
 10 management costs or other things, we tend to use about a
 11 four or five-year period. So that's why I would recommend
 12 we would use a four or five-year period to normalize these
 13 expenses for the same reason.

14 Q. **Would you concede that if we did use a**
 15 **longer period, that the amortization period would be**
 16 **longer and, therefore, the amount included in rates would**
 17 **be less?**

18 A. I'm not sure I understand what you mean by
 19 amortization period. I mean, essentially what we're doing
 20 is just using historical information to set an amount to
 21 put into base rates. We're not advocating amortizing
 22 anything.

23 Q. **If we are to use a longer period of time on**
 24 **which to calculate the appropriate normalization period,**
 25 **would not that period of time be longer if we looked**

1 **beyond the last five years?**

2 A. Well, only because we didn't have a
3 situation where rate cases needed to be filed.

4 Q. **So it would be longer?**

5 A. I guess, yeah. Mathematically that's how
6 it works.

7 Q. **And if we were to normalize using that**
8 **period of time, then the amount included in rates in this**
9 **case could be less?**

10 A. Mathematically, that would be correct.

11 Q. **Now, with respect to the rate case expense**
12 **in this case, do you account for the time that you**
13 **personally spend working on this case separately from the**
14 **time that you spend doing other tasks?**

15 A. I do keep track of it, yes.

16 Q. **So there's a task code or something on your**
17 **time sheet that bills your time for this case?**

18 A. Yes.

19 Q. **And how much time have you spent on this**
20 **case?**

21 A. I don't know. I mean, I put it in every
22 couple of weeks. Actually, my admin assistant puts it in
23 for me after I tell her how much it is. But I haven't
24 looked at the report to see how much in total I've
25 incurred since we filed this in February, or actually

1 before that because I would have been involved before
2 that.

3 **Q. You have no idea how much time you've put**
4 **in on this case?**

5 A. Not in a numbers basis. I can tell you it
6 ebbs and flows. In the last couple of weeks I've been
7 spending a lot of time preparing for the rate case. I
8 filed testimony back in February. I spent a lot of time,
9 and then not so much, and then it geared up again as we go
10 through the rounds of testimony.

11 **Q. Do you know in total how much time internal**
12 **Ameren Missouri folks have spent on this rate case?**

13 A. No. I don't have that information. We
14 track it, but I don't have the information in front of me.
15 I don't know what that is.

16 **Q. And what is your title with the company?**

17 A. Vice president of business planning and
18 controller.

19 **Q. As controller, do you have any**
20 **responsibility for controlling the cost it takes to**
21 **prosecute a rate case?**

22 A. Not direct responsibility. I mean,
23 obviously I manage and coordinate the budget process, but
24 I don't personally come up with what the amount is that we
25 should budget for rate case expense.

1 Q. During the course of this rate case, has
2 anybody in management come to you and said, how many hours
3 are we putting in on this rate case?

4 A. No.

5 Q. No one is tracking that at the company?

6 A. For internal labor you're talking about?

7 Q. Yes.

8 A. It's being tracked, but nobody has come and
9 asked me what that number is.

10 Q. And you don't know what that number is?

11 A. I don't know what that number is.

12 Q. Do you believe that advertising is a
13 necessary and legitimate cost of running your business?

14 A. I think advertising is the best way to
15 communicate with our customers given the broad service
16 territory that we serve in.

17 Q. Is that a yes?

18 A. Yes.

19 Q. Is your incentive pay a necessary and
20 legitimate cost of operating your business?

21 A. Yes.

22 Q. Is your incentive pay included in rates in
23 this case?

24 A. No.

25 Q. How about the incentive pay for other

1 executives, is that a necessary and legitimate cost of
2 running your business?

3 A. Yes.

4 Q. Is the incentive pay for other executives
5 included in the cost of service in this case?

6 A. Not for officers at my level, but for some
7 below.

8 Q. And when you-all -- when the company filed
9 its case, did it include all the costs of advertising in
10 its filed case?

11 A. Yes, I believe so.

12 Q. You did not voluntarily exclude any cost of
13 advertising when you filed?

14 A. I'm not that close to the cost of service,
15 so I don't know that they did, but I'm not aware that we
16 did directly.

17 Q. Has -- well, I won't ask you about that.
18 I think that's a settled issue.

19 Now, in your rebuttal testimony on page 33,
20 I'll let you get there.

21 A. Thank you. It's been a few hours since I
22 read it. Page 33?

23 Q. Page 33, you assert that the company has a
24 right to utilize the resources it needs.

25 A. Yes.

1 Q. Okay. Has any party in this case said that
2 you cannot hire any experts that you want to hire?

3 A. No, not that I'm aware.

4 Q. Your understanding of Public Counsel's
5 position is that you can hire whoever you want, we just
6 don't believe that you should be able to pass all of the
7 costs through in rates; is that correct?

8 A. That's my understanding of your position,
9 yes.

10 MR. MILLS: That's all the questions I
11 have.

12 JUDGE WOODRUFF: For Staff?

13 MR. THOMPSON: Thank you, Judge. May I
14 approach?

15 JUDGE THOMPSON: You may.

16 CROSS-EXAMINATION BY MR. THOMPSON:

17 Q. Let me show you something, and this is
18 highly confidential. All right? So we'll try not to
19 solicit any answers that would be confidential. Do you
20 recognize that document?

21 A. No. I've never seen it before.

22 Q. You've never seen it before?

23 A. Huh-uh.

24 Q. Can you tell me who it was sent to? Is
25 there anything on there that indicates that?

1 A. It was sent to our legal counsel,
2 Mr. Byrne.

3 **Q. Mr. Byrne. And who was it sent from?**

4 A. Concentric.

5 **Q. And who is Concentric?**

6 A. They're one of the consulting firms that
7 we're using for this rate case.

8 **Q. Okay. Now, on there there are rates shown**
9 **for certain individuals. Do you see that?**

10 A. Yes.

11 **Q. Who is the chairman and chief executive**
12 **officer, if you know?**

13 A. I don't know actually.

14 **Q. Who's senior vice president?**

15 A. I don't know that either.

16 **Q. Or the project manager?**

17 A. No.

18 **Q. Project assistant?**

19 A. I have not worked directly with any of the
20 Concentric.

21 **Q. Who would know that, other than Mr. Byrne?**

22 A. Mr. Weiss potentially.

23 **Q. Mr. Weiss. Okay. And we're going to see**
24 **him again in this case, aren't we?**

25 A. Yes.

1 Q. Let me ask you this: At the bottom you'll
2 see an area that's indicated billings to date?

3 A. Uh-huh.

4 Q. Would those be billings to date with that
5 particular vendor?

6 A. Yes.

7 Q. Okay. That's all the questions I have
8 about that. Thank you.

9 As far as you know, is the figure
10 1.9 million, is that the current estimate of what this
11 rate case is expected to cost?

12 A. As far as I know, yes.

13 Q. Okay. And who's in charge of that? Is
14 there one person with Ameren who's in charge of rate case
15 expense?

16 A. I don't know if there's one person in
17 charge. The regulatory group would be the ones that have
18 the budget responsibility for rate case expense, and they
19 coordinate that with our legal department.

20 Q. When would --

21 JUDGE WOODRUFF: Mr. Thompson, your
22 microphone again.

23 MR. THOMPSON: I apologize.

24 BY MR. THOMPSON:

25 Q. When would you expect to know for sure how

1 **much this case cost, in fact?**

2 A. Well, I don't know exactly what the
3 responsibilities will be of all the consultants, but at
4 least through the hearings. We would get a -- receive a
5 billing once the hearing's completed, and then to the
6 extent that, for example, the attorneys are working on
7 briefs or any other documentation that's required for the
8 rate case, they would bill us subsequently after all of
9 that work was completed. So sometime between now and when
10 an order comes from the Commission I would suspect we'd
11 know.

12 **Q. Perhaps even after the order?**

13 A. Depends on when the work is performed. If
14 they're doing work right up until when the order is
15 delivered, then we may not get the bill from them until
16 after.

17 **Q. And rates I think are expected to be**
18 **effective around January 1st?**

19 A. Early January, uh-huh.

20 **Q. So realistically bills might trickle in**
21 **until February?**

22 A. I don't think they would wait that long.
23 Typically I think we receive the bills within 30 days of
24 when the work's performed.

25 **Q. Okay. But would you agree with me that the**

1 amount put into revenue requirement in making rates for
2 this case is going to have to be an estimate?

3 A. I questions the true-up hearings happen in
4 -- I'm not sure of the timing of that. They happen after
5 this hearing and then before the order. So to the extent
6 that we have a number at that point, we can fill that in.
7 The way the true-up process works, I mean, you don't use
8 actual numbers beyond July 31st.

9 Q. But that may not be the final number; isn't
10 that right?

11 A. It most likely won't be since the hearing
12 hadn't occurred by July 31st.

13 Q. Right. And would you agree with me that
14 the amount that goes into revenue requirement to be
15 recovered on an annual basis, assuming that it's designed
16 to recover all of your rate case expense incurred in this
17 case by the time you file your next case, necessarily that
18 amount is going to depend on when you file your next case?

19 A. Well, I guess I'm back to my discussion
20 with -- that I had with Mr. Mills. If this is just a cost
21 of doing business like every other cost of doing business
22 and we take the position that we should use historical
23 information to normalize that and build in a normalized
24 amount in rates, then I think this isn't something unique
25 that we're just trying to recover or under or over-recover

1 rate case expense. It's no different than any other
2 expense that we use to calculate a cost of service for
3 going on in the future.

4 Q. Okay. So Staff's position is \$1 million a
5 year; isn't that right?

6 A. Yes.

7 Q. Okay. So let's say you prevail on this
8 issue and, in fact, the Commission gives you \$1 million in
9 revenue requirement on an annual basis. Okay?

10 A. If I prevail on this issue, they won't give
11 me a million. They'll give me a million and a half.

12 Q. I'm sorry. Let's say Staff prevails.
13 Thanks for that correction. I assumed you -- never mind.
14 Let's say it's a million.

15 A. Okay.

16 Q. And let's say it's five years until you
17 file your next case. I know that may be unlikely, but
18 let's say that's what it is.

19 A. Uh-huh.

20 Q. So you would have recovered \$5 million for
21 rate case expense?

22 A. We would have recovered \$5 million in cost
23 of service, and, you know, for the same reason that we
24 don't recover 100 percent of our labor expenses because
25 there are labor increases that occur after the rate case

1 and after the rates are put into effect, this is where
2 regulatory lag comes into play. And so if -- if the cost
3 of service is built based on a million dollars of rate
4 case expense, then that million dollars is part of cost of
5 service.

6 And if we don't file a rate case for five
7 years, that doesn't mean that we have over-earned. That
8 doesn't mean that we've over-recovered those particular
9 expenses. It just is a number that's baked into the
10 overall cost of service that's used to set rates in the
11 future.

12 Q. Okay. And your position, in fact, is one
13 and a half million; isn't that right?

14 A. Based on a normalization process rather
15 than picking a number out of the air.

16 Q. So if you recovered one and a half million
17 for five years, how much money is that?

18 A. Do my math.

19 Q. Would you agree with me that's about seven
20 and a half million dollars?

21 A. Uh-huh.

22 Q. But that's not an over-recovery you say?

23 A. Again, because we are not in the process --
24 as I understand the ratemaking process, we're not
25 recovering specific expenses. We are assigning -- we are

1 using historical information to develop a cost of service
2 for customers to pay for service in the future.

3 Q. But don't you think that those amounts that
4 are put into rate base to be recovered on an annual basis,
5 don't you think those are intended to be predictive of the
6 actual costs the company is going to have to pay year
7 after year?

8 A. Well, if we were going to take that
9 position, then we don't build in labor rate increases
10 beyond the true-up period, and I don't think the
11 assumption is that we're not going to pay raises to our
12 employees or that we're not going to have more or less
13 employees in the future than we have at the time that
14 rates are set.

15 I mean, you can go down the whole path of
16 all the different types of expenses that are part of cost
17 of service to make that argument.

18 Q. I'm glad you brought up labor. Isn't it
19 true that the reason we don't include labor rate increases
20 after the true-up is they're not known and measurable?
21 Isn't that true?

22 A. But rate case expenses aren't known and
23 measurable either, because I don't know with pinpoint
24 certainty when I'm going to file a rate case next.

25 Q. But if we take an average of historical

1 **rate case expense and we adjust that to reflect on an**
2 **annual basis what you're going to pay between now and the**
3 **next rate case, isn't that the best we can do?**

4 A. Well, I think the best we can do is look
5 back historically and say what has that time frame been
6 historically, and we have some history now that we're on
7 the fifth rate case that there's about a 15-month gap
8 between and take that as our position to normalize those
9 costs for the future.

10 MR. THOMPSON: Thank you. No further
11 questions.

12 JUDGE WOODRUFF: Come up to questions from
13 the bench. Mr. Chairman.

14 QUESTIONS BY CHAIRMAN GUNN:

15 Q. I'll ask you because you're actually sworn
16 in. Mr. Byrne wasn't. Assuming a commission in a rate
17 case grants an increase and doesn't deny or grant a
18 decrease, do shareholders of the utility benefit from
19 that?

20 A. Yes.

21 CHAIRMAN GUNN: Okay. I don't have
22 anything further. Thank you.

23 JUDGE WOODRUFF: Commissioner Jarrett?

24 COMMISSIONER JARRETT: I don't think I have
25 any questions. Thanks.

1 JUDGE WOODRUFF: Commissioner Kenney?

2 COMMISSIONER KENNEY: I just have a few
3 questions.

4 QUESTIONS BY COMMISSIONER KENNEY:

5 Q. Why does Ameren not include incentive
6 compensation in its request for rate increase? You said
7 at your level they don't.

8 A. Right. Because at the officer level,
9 incentive compensation is based on the results of our
10 earnings for Ameren Corporation, and in prior cases that
11 has been disallowed. So rather than bringing up a
12 frivolous issue that's more likely to get denied, we just
13 choose not to include it.

14 Q. Do you agree with the principle underlying
15 the disallowance?

16 A. Personally or --

17 Q. Yeah, personally.

18 A. Not particularly, but not my choice.

19 Q. All right. Fair enough. And do you know
20 if the costs associated with taking an appeal of one of
21 our decisions, is that included in the million and a half
22 dollars or is that strictly the cost of prosecuting this
23 rate case?

24 A. I don't know.

25 Q. Do you know as a general proposition, does

1 Ameren seek to recover its costs associated with taking an
2 appeal of one of our decisions under some other rubric
3 other than rate case expense?

4 A. I mean, they're part of our total costs, so
5 I guess to the extent that we those types of costs in the
6 test year, they're probably just part of all the other
7 costs that are included in the test year. But I don't
8 know of any purposeful way that we're tracking that to
9 collect it.

10 Q. Would it just be included with other legal
11 fees?

12 A. Probably, yes.

13 Q. So it would be accounted for separately
14 from rate case expense?

15 A. I think so.

16 Q. You think? Okay.

17 A. Uh-huh.

18 Q. Even if you lose the appeal on the issue?

19 A. Yes. We still have to pay the bill. It
20 would be an expense.

21 Q. Are you aware of jurisdictions that would
22 disallow the cost of appeal where the appeal is lost?

23 A. I'm not aware.

24 COMMISSIONER KENNEY: I don't have any
25 other questions. Thank you.

1 JUDGE WOODRUFF: Commissioner Stoll?

2 COMMISSIONER STOLL: I have no questions,
3 your Honor.

4 JUDGE WOODRUFF: All right. Then we'll go
5 to recross based on questions from the bench, beginning
6 with Public Counsel.

7 MR. MILLS: I don't have any further
8 questions.

9 JUDGE WOODRUFF: Staff?

10 MR. THOMPSON: No questions.

11 JUDGE WOODRUFF: Redirect?

12 MR. TRIPP: Just a few, your Honor.

13 REDIRECT EXAMINATION BY MR. TRIPP:

14 Q. You were asked several questions about in
15 terms of looking forward, in terms of looking to determine
16 when Ameren will file its next rate case in relation to
17 recovery of rate case expense. Do you recall those
18 questions?

19 A. Yes.

20 Q. As you sit here today, do you know when
21 Ameren's going to file its next rate case?

22 A. No.

23 Q. Is it likely that it's going to be five
24 years?

25 A. I believe that we have requirements under

1 both the MEEIA statute as well as the FAC that we have to
2 file earlier than five years just to meet those
3 requirements.

4 Q. And could it be as short as 15 months?

5 A. Could be.

6 Q. Don't know?

7 A. We don't have a requirement that we have to
8 within 15 months, but I can't say that we wouldn't.

9 Q. Fair enough. But with regard to looking
10 backward, at this case, the last three rate cases, we do
11 know?

12 A. Yes. That has been the pattern.

13 Q. What has been the pattern?

14 A. 15 months has been the pattern, as well as
15 spending about between a million and a half and \$2 million
16 for rate case expense in those cases as well.

17 MR. TRIPP: No other questions, your Honor.

18 COMMISSIONER JARRETT: I'm sorry. I do
19 have some questions.

20 QUESTIONS BY COMMISSIONER JARRETT:

21 Q. I apologize for jumping back in. Chairman
22 Gunn asked you whether if a rate case is granted, if the
23 shareholders benefit?

24 A. Yes, he did ask that.

25 Q. And you answered yes?

1 A. Yes.

2 Q. If it is -- in the rate increase, you are
3 given money to buy new poles to put up new lines. Do the
4 shareholders benefit from that?

5 A. To the extent that we don't earn our
6 allowed return or that we don't get close to it by the
7 actions that we take, then our shareholders do not benefit
8 from that. The customers directly benefit from any
9 capital investment we make. The shareholders benefit if
10 we're able to earn a return on that investment.

11 Q. But having -- having a utility be able to
12 provide reliability by putting up new poles, does that
13 benefit the shareholders?

14 A. No. Shareholders don't directly benefit
15 from the level of reliability that our customers afford or
16 expect.

17 COMMISSIONER JARRETT: Okay. Thank you.
18 No further questions.

19 JUDGE WOODRUFF: Anyone wish any recross
20 based on those questions?

21 MR. MILLS: No, thank you.

22 MR. THOMPSON: No, thank you.

23 JUDGE WOODRUFF: Any redirect?

24 MR. TRIPP: No.

25 JUDGE WOODRUFF: Ms. Barnes, you can step

1 down. And we'll call the next witness, which would be
2 Lisa Hanneken with staff.

3 MR. TRIPP: Just a query, Judge Woodruff.
4 I anticipated being finished so I'd be in Columbia at
5 6:15. If I don't, I just need to make a phone call
6 because I had an appointment scheduled at 6:15 this
7 evening. I can make a phone call and change that.

8 JUDGE WOODRUFF: Let me ask the other
9 parties, do you anticipate extensive cross on these
10 witnesses?

11 MR. MILLS: I have no cross for my own
12 witness, and I have very limited cross for the Staff
13 witness.

14 MR. TRIPP: It will probably be who will be
15 longer. I'm sorry.

16 JUDGE WOODRUFF: If you want to take a
17 five-minute break and make your call, we'll do that.

18 MR. TRIPP: All right. Thank you, Judge.

19 COMMISSIONER KENNEY: You're saying you're
20 going to keep us here, that you're not going to be able to
21 keep your 6:15 appointment?

22 JUDGE WOODRUFF: Of course, the other
23 alternative would be to push them back, take these
24 witnesses tomorrow.

25 MR. THOMPSON: I would vote on that one.

1 JUDGE WOODRUFF: I'm sorry. What did you
2 say?

3 MR. THOMPSON: I was just saying I would
4 vote for pushing them 'til the morning.

5 JUDGE WOODRUFF: We can go ahead and get
6 started on Ms. Hanneken. We'll plan on ending at
7 five o'clock, then. I'm sure Mr. Robertson will be here
8 tomorrow.

9 MR. ROBERTSON: I have nowhere else to go.

10 JUDGE WOODRUFF: Ms. Hanneken. Good
11 afternoon. Please raise your right hand.

12 (Witness sworn.)

13 LISA HANNEKEN testified as follows:

14 DIRECT EXAMINATION BY MR. THOMPSON:

15 Q. State your name, please.

16 A. Lisa Hanneken.

17 Q. And could you spell your last name for the
18 reporter, please?

19 A. H-a-n-n-e-k-e-n.

20 Q. Are you the same Lisa Hanneken that
21 prepared or caused to be prepared certain contributions to
22 the Staff cost of service revenue requirement report that
23 we've discussed earlier and also surrebuttal testimony
24 that's been marked as Exhibit 236?

25 A. Yes.

1 Q. And do you have any corrections to either
2 of those items?

3 A. No, I do not.

4 Q. And if I was to ask you those questions
5 today, would your answers be the same?

6 A. Yes, they would.

7 Q. And to the best of your knowledge and
8 belief, is the information contained in those pieces of
9 testimony true and correct?

10 A. Yes.

11 MR. THOMPSON: With that, your Honor, I
12 would offer Exhibit 236.

13 JUDGE WOODRUFF: 236 has been offered. Any
14 objections to its receipt?

15 (No response.)

16 JUDGE WOODRUFF: Hearing none, it will be
17 received.

18 (STAFF EXHIBIT NO. 236 WAS RECEIVED INTO
19 EVIDENCE.)

20 MR. THOMPSON: And I would tender
21 Ms. Hanneken for cross-examination.

22 JUDGE WOODRUFF: For cross then beginning
23 with Public Counsel.

24 CROSS-EXAMINATION BY MR. MILLS:

25 Q. Ms. Hanneken, have you been in the hearing

1 room during the previous questions and the opening
2 statements on this issue?

3 A. Yes.

4 Q. And so you've heard some of the analogies
5 drawn between rate case expense and advertising expense,
6 correct?

7 A. Yes.

8 Q. And you are the lead auditor in this case,
9 correct, for Staff?

10 A. Correct.

11 Q. Are you familiar with the company's filed
12 case with respect to its advertising expenses?

13 A. Somewhat familiar. I couldn't quote exact
14 numbers.

15 Q. Just in general terms, did the company not
16 in its direct case categorize its advertising into the
17 different categories that the Staff traditionally uses?

18 A. I believe it did.

19 Q. And so it would have categorized some of
20 its advertising as institutional, recognizing that that
21 would not be included in rate case, in the rate increase,
22 correct?

23 A. Correct.

24 Q. Okay. Have you testified on advertising
25 expenses in prior cases?

1 MR. TRIPP: I'm going to object as to
2 relevance, your Honor.

3 MR. MILLS: The relevance is that the
4 company is alleging that rate case expense is an expense
5 that must be allowed in its entirety. It's our position
6 that rate case expense is analogous to advertising in that
7 some of it is beneficial to shareholders rather than
8 ratepayers and should be disallowed on the same basis that
9 rate case expense -- that advertising expense is
10 disallowed. I'm developing that analogy through
11 cross-examination of this witness.

12 JUDGE WOODRUFF: I'll overrule the
13 objection.

14 BY MR. MILLS:

15 Q. And the question was, have you testified on
16 the issue of advertising expense in prior cases?

17 A. Yes, I believe back in around 2002 for a
18 Laclede case.

19 Q. And in that case, did you take the -- take
20 the position on behalf of Staff that some advertising
21 benefits shareholders and should not be included in the
22 calculation of cost of service?

23 A. Yes, I did.

24 MR. MILLS: That's all the questions I
25 have. Thank you.

1 JUDGE WOODRUFF: All right.

2 Cross-examination for Ameren.

3 CROSS-EXAMINATION BY MR. TRIPP:

4 Q. Good afternoon, Ms. Hanneken.

5 A. Good afternoon.

6 Q. I wanted to begin with some at least what I
7 understood until today, may still be true, Staff's general
8 view on recovery of rate case expense. All right?

9 A. All right.

10 Q. First of all, staff agrees that a regulated
11 utility is entitled under traditional ratemaking concepts
12 to rates that allow a reasonable opportunity for recovery
13 of all reasonable and prudent amounts expended in
14 rendering utility service to customers, true?

15 A. Correct.

16 Q. And Staff agrees that this opportunity
17 extends to costs incurred by the utility to set new rates
18 within the established regulatory process in Missouri,
19 correct?

20 A. Yes.

21 Q. And Staff agrees that the general rules
22 governing rate case expense provide that those expenses
23 that are known and measurable, reasonable and necessary
24 and prudently incurred in the preparation and presentation
25 of the company's case may be included in the allowable

1 expenses of the company, true?

2 A. True.

3 Q. And Staff agrees that some expenses of rate
4 case include legal fees from outside counsel, consulting
5 fees, expert witness fees, shipping expense and costs
6 incurred by the company employees to attend case-related
7 activities in Jefferson City, true?

8 A. I believe those have been traditionally the
9 types of expense.

10 Q. So you agree?

11 A. Correct.

12 Q. Now, Staff agrees that utilities should
13 have reasonable discretion to hire outside consultants in
14 rate proceedings, true?

15 A. When they're reasonably and prudently
16 incurred, yes.

17 Q. And it's not been Staff's position that
18 rate case expenses should be shared by the company's
19 shareholders, true?

20 A. It's not Staff's position in this case.

21 Q. Well, it's never been Staff's position in
22 any other rate case that you've testified in; isn't that
23 true?

24 A. None that I've testified in, no.

25 Q. And Staff agrees that under the existing

1 regulatory system in this jurisdiction, a utility is
2 required to incur certain costs in attempting to establish
3 new rate levels, and given that fact, rate case expenses
4 are a necessary cost for utilities to incur, true?

5 A. I'm sorry. Could you repeat that?

6 Q. Yes. I'm sorry. Staff agrees that under
7 the existing regulatory system in this jurisdiction, a
8 utility is required to incur certain costs in attempting
9 to establish new rate levels, and given that fact, rate
10 case expenses are a necessary cost for a utility to incur,
11 true?

12 A. Yes.

13 Q. All right. Now, with those general
14 principles in mind, Ms. Hanneken, I want to ask you about
15 your recommendations in this case as I understand them.
16 As I understand your testimony, Staff's position is that
17 1.5 million is the appropriate level of rate case expense,
18 true?

19 A. Correct.

20 Q. And that amount assumes that the company
21 will not file another rate case, your amount assumes that,
22 for 18 months, correct?

23 A. The 1.5 million is the overall amount in
24 totality that we believe the company will expend on this
25 rate case.

1 Q. Right. And that's based on the assumption
2 that the company won't file another rate case until
3 18 months?

4 A. No.

5 Q. Do you remember giving your deposition --
6 no. But the total -- I'm sorry. Maybe I asked the
7 question incorrectly. I'm sorry.

8 But the 1.5 million is based on the fact
9 that this 1 million annualized expense that you recommend
10 will allow the company to recover 1.5 million over a
11 period of 18 months, true?

12 A. 1.5 million, if you back it into how much
13 the annual amount would be, meaning you would divide it by
14 18 months, times it by 12 times, you would get \$1 million
15 as an annual amount.

16 Q. And isn't that your recommendation in this
17 case?

18 A. In my testimony, correct. Yes.

19 Q. But in your testimony, in the cost of
20 service report your recommendation was \$1 million annual
21 expense, correct?

22 A. Correct.

23 Q. And in your surrebuttal testimony that you
24 filed that was the same, true?

25 A. Correct.

1 Q. I take it by your answer that you're
2 telling me today there's a different recommendation that
3 you have now?

4 A. Well, I believe that Ms. Barnes had stated
5 this morning that there is a certain date when the company
6 may anticipate filing. If that's the case, if I were to
7 take that into account, then my amount would be closer to
8 620,000 of an annual amount.

9 Q. What is your opinion or your recommendation
10 today?

11 A. Currently, my position as filed in my
12 testimony is \$1 million of annual expense.

13 Q. All right. Now, you heard Ms. Barnes
14 testify that this rate case and the last three rate cases
15 prior to this rate case resulted in the filing of a rate
16 case approximately every 15 months, true?

17 A. True.

18 Q. And, in fact, the information that you
19 looked at in this case regarding Ameren's past rate case
20 expense indicated that that was the case, that average
21 about 15 months between rate cases, true?

22 A. For those three cases, yes, it does
23 average.

24 Q. And then you take this case into account,
25 that's another 15 months, roughly, correct?

1 A. If you look at the prior four cases, it's
2 actually like 17 months.

3 Q. Well, you're throwing in the 2007 case,
4 correct?

5 A. Correct.

6 Q. And I'm talking about the last -- the three
7 cases since then and then this case.

8 A. Correct.

9 Q. And those four cases average about
10 15 months, correct?

11 A. Yes.

12 Q. All right. And whether it's 15 months or
13 your scenario of 18 months or whatever, if the company's
14 rate case expense exceeds \$1.5 million, then the company
15 would not recover those amounts, true?

16 A. Correct.

17 Q. And as I understand it big picture wise,
18 Ms. Hanneken, staff's determination of the prudence and
19 reasonableness of rate case expense in this case is based
20 on whether it exceeds this appropriate level of rate case
21 expense, true?

22 A. I'm sorry. Could you repeat that?

23 Q. Yes. I'm sorry. It's late in the day. My
24 mouth is lazy. Staff's determination of the prudence and
25 reasonableness of rate case expense in this case is based

1 on whether it exceeds this appropriate level of rate case
2 expense that you've identified, true?

3 A. No, not -- not completely, no. I mean, as
4 far as prudence, Staff also looked at each factor to
5 determine whether the costs were prudently incurred. We
6 actually looked at each and every invoice to make sure
7 there's no duplication of costs being paid, those type of
8 things.

9 Q. I'm sorry. Just a moment. Ms. Hanneken,
10 do you recall giving your deposition in this case?

11 A. Yes, I do.

12 Q. And do you have a copy of your transcript?

13 A. Yes, I do.

14 Q. Can you turn to page 41 of that transcript,
15 please?

16 A. All right.

17 Q. All right. And if you go to the question
18 beginning on line 14, I'll read the question if you'll
19 read the answer for me, please. The question was: All
20 right. Let's see if I can remember where we were before
21 we chased all those rabbits. Sorry about that,
22 Commissioners. When you talked earlier about expenses
23 that were prudent and reasonable, my understanding of
24 Staff's position then is that how prudence and
25 reasonableness is determined at least by your proposal is

1 whether or not Ameren's rate case expense exceeds 1.5 to
2 \$1.6 million. Is that that accurate? And your answer
3 was?

4 A. Yes.

5 Q. All right. And you don't know of any other
6 public utility commission in the United States,
7 Ms. Hanneken, that sets a particular dollar limit or cap
8 on rate case expense; isn't that true?

9 A. Not to my knowledge.

10 Q. And Staff knows that because they've
11 actually surveyed other public service commissions in the
12 United States?

13 A. I have not seen any survey. I just don't
14 know whether that's the case or not.

15 Q. But you're here on behalf of Staff,
16 correct?

17 A. Correct.

18 MR. TRIPP: Your Honor, may I approach?

19 JUDGE WOODRUFF: You may.

20 BY MR. TRIPP:

21 Q. First, just a couple preliminary questions.
22 You're aware that Mr. Oligschlaeger on Staff was in charge
23 of surveying other utility commissions across the United
24 States, true?

25 A. I don't know if he was in charge of that,

1 no, I don't.

2 Q. He worked on that, correct?

3 A. He has been working on the AW docket.

4 That's all I'm aware of.

5 Q. In fact, you actually went to him to get
6 information for your testimony, correct?

7 A. No. He provided me something when we were
8 discussing the issue.

9 Q. He provided you with information on a rate
10 case expense for other large utilities in Missouri, true?

11 A. Correct.

12 Q. All right.

13 MR. TRIPP: Now may I approach, your Honor?

14 JUDGE WOODRUFF: You may.

15 BY MR. TRIPP:

16 Q. Ms. Hanneken, I've handed you a stack of
17 papers that include, first of all, a letter addressed to
18 me from Mr. Reed of the Commission, correct?

19 A. Yes.

20 Q. And then attached to it are a group of
21 surveys from various states, survey responses, correct?

22 A. I'll see in a moment, yes.

23 Q. Go ahead and look at it. I'm sorry.

24 A. Yes. I believe there's e-mails in here as
25 well.

1 Q. Indicating that survey responses had been
2 received, correct?

3 A. And I believe some definitions, questions
4 being asked from other states.

5 Q. All right. And so -- and so -- and if
6 you'll look on the first page of the letter, it says the
7 first sentence, enclosed you'll find 424 pages of
8 documentation responsive to your Sunshine Law request.
9 Surveys from various states commissions are included,
10 true?

11 A. Yes.

12 Q. All right.

13 MR. MILLS: Judge, I'm going to object at
14 this point. We're having a lot of questions about this
15 document without laying any kind of a foundation.

16 MR. TRIPP: That was the foundation. I was
17 just getting ready to move for its admittance, your Honor.

18 MR. MILLS: I would object to its admission
19 because there's been insufficient foundation laid. This
20 witness has never indicated she's ever seen the document
21 before, that she had any role in preparing it or that she
22 can verify any of the information contained therein.
23 There's simply been no foundation laid.

24 JUDGE WOODRUFF: Let me deal with marking
25 it first. It will be Exhibit 51.

1 MR. MILLS: Didn't we reserve 50?

2 JUDGE WOODRUFF: We reserved 50. This is
3 51.

4 (AMEREN EXHIBIT NO. 51 WAS MARKED FOR
5 IDENTIFICATION.)

6 JUDGE WOODRUFF: All right. And Mr. Mills,
7 your objection was lack of foundation?

8 MR. MILLS: Yeah. Well, for one thing, the
9 the cover letter seems to indicate that it's a 424-page
10 document, which is certainly not what we have attached
11 here. But beyond that, this witness has done nothing to
12 authenticate this document. Her name doesn't appear on
13 the cover letter. None of the e-mails that I've been able
14 to see within the document either come from her or go to
15 her. So I don't know that -- she certainly hasn't so far
16 done any authentication. I don't know that she can.

17 JUDGE WOODRUFF: Your response, Mr. Tripp?

18 MR. TRIPP: First of all, I can provide all
19 424 pages if the Commission would like that. So I'll
20 offer those just in case.

21 But my second response is, your Honor, is
22 it's an admission against interests. It's clear that it's
23 a representation from Staff. I don't have any other Staff
24 witness to ask about that in this case. She's the Staff
25 witness here representing the Staff. It's an admission

1 against interest. And the letter clearly establishes on
2 the first two pages that this was provided from the
3 Commission and it's a survey that Mr. Oligschlaeger did.

4 JUDGE WOODRUFF: Mr. Thompson, you wanted
5 to be heard on this?

6 MR. THOMPSON: I don't see how it's an
7 admission against interest. It all seems to be material
8 Mr. Oligschlaeger received.

9 MR. TRIPP: That in and of itself, your
10 Honor, makes it admission against interest in that it has
11 information that would be consistent with the -- with the
12 recommendation by Staff in this case.

13 MR. MILLS: First of all, there's nothing
14 in here that indicates that this is information that
15 Mr. Oligschlaeger received.

16 Second, the whole notion of an admission
17 against interest assumes that Staff is a party opponent in
18 this case, and they're not. The Staff is not an opponent
19 to the company. They really have no interest in the case
20 to which they can have an admission against because they
21 are a neutral third party.

22 So I think regardless of even if this could
23 possibly be considered an admission against interests, it
24 still has to be authenticated. This witness still has to
25 be able to say, yes, these are the documents I received,

1 these are documents that I've authenticated, these are
2 documents that I know about, and these documents, you
3 know, operate against my interests, and none of that has
4 happened with this particular document.

5 MR. TRIPP: Your Honor, may I be heard?

6 JUDGE WOODRUFF: Yes.

7 MR. TRIPP: With regard to the
8 authentication by this witness, that's not necessary. If
9 she were to -- if it was just an admission against
10 Ms. Hanneken, true. This is an admission against the
11 Staff's recommendation or interest in this rate case. And
12 so she's here as the representative of Staff. In fact,
13 when she talks in her cost of service report about what
14 her opinion is or recommendation, she doesn't say Ms.
15 Hanneken. She says Staff's recommendation.

16 MR. MILLS: And the cover letter comes from
17 the Commission's general counsel, not from the
18 Commission's staff counsel.

19 MR. TRIPP: And I'd be happy to provide the
20 other 400-whatever pages.

21 JUDGE WOODRUFF: I don't care about
22 400-some pages.

23 MR. THOMPSON: Your Honor, if I could, I
24 don't understand how a mass of material provided by the
25 general counsel to Mr. Tripp in a Sunshine Law request and

1 purportedly collected by a Staff member constitutes an
2 admission. An admission is when Staff makes a statement,
3 a representation in some way that's contrary to the
4 position they've taken in this case.

5 JUDGE WOODRUFF: If it's not an admission,
6 then I assume it would be hearsay. Is that part of your
7 objection also, Mr. Mills?

8 MR. MILLS: It certainly would be. I just
9 got this document. I've never seen it before, but it
10 seems to be at least partial e-mails from other state
11 commissions, but we don't -- we don't have the questions
12 that they're responding to. We don't know who the e-mails
13 went to. We have no way of authenticating that they
14 actually came from the people who they -- who at least
15 some of them appear to have come from.

16 There's just -- there's no way for us to
17 verify this document on its face, and there's no way that
18 this witness has been able to verify it either.

19 JUDGE WOODRUFF: Mr. Tripp, at this
20 point --

21 MR. TRIPP: I have nothing else to add,
22 your Honor.

23 JUDGE WOODRUFF: Pardon me?

24 MR. TRIPP: I have nothing else to add,
25 your Honor.

1 JUDGE WOODRUFF: I was going to give you
2 the opportunity for more questions. With the record as it
3 stands now, I'm going to have to overrule or deny the
4 admission of the document.

5 MR. TRIPP: I have one more issue.

6 JUDGE WOODRUFF: Document will not be
7 received.

8 MR. TRIPP: I have one more issue related
9 on this particular topic, your Honor. May I proceed?

10 JUDGE WOODRUFF: Go ahead.

11 MR. TRIPP: May I approach?

12 JUDGE WOODRUFF: You may. Do you want to
13 mark this one also?

14 MR. TRIPP: Yes, your Honor, please.

15 JUDGE WOODRUFF: This will be 52.

16 (AMEREN EXHIBIT NO. 52 WAS MARKED FOR
17 IDENTIFICATION.)

18 BY MR. TRIPP:

19 Q. Ms. Hanneken, you have seen this before,
20 correct?

21 A. I believe you provided it to me in my
22 deposition.

23 Q. Correct. And this was a presentation that
24 we talked about in your deposition that was prepared by
25 Mr. Oligschlaeger on the Staff, correct?

1 A. I believe it was something, a presentation
2 that he made to NARUC, not as a member of Staff per se,
3 but on his own accord.

4 MR. THOMPSON: I wonder if I might voir
5 dire? I think an objection would lie here.

6 MR. MILLS: I think we need to look no
7 further than page 2 and the disclaimer thereon to realize
8 that we're going down the wrong --

9 MR. TRIPP: I can get there, your Honor.

10 MR. THOMPSON: I was just hopeful that --

11 JUDGE WOODRUFF: We'll let Mr. Tripp go a
12 little bit further here and then you can voir dire when he
13 gets --

14 MR. THOMPSON: Very good. Thank you, your
15 Honor.

16 BY MR. TRIPP:

17 **Q. Ms. Hanneken, on page 2 of that**
18 **presentation there's a standard disclaimer, correct, set**
19 **out?**

20 A. Correct.

21 **Q. And it sets out that any -- I don't want to**
22 **testify as to the substance. We'll get to that. It**
23 **disclaims basically that it's not the view of the**
24 **Commission Staff, correct?**

25 A. Correct.

1 Q. But it does set out a summary of the survey
2 results that the Commission received in AW-2011-0330,
3 correct?

4 MR. THOMPSON: I'm going to object. I
5 don't know that any foundation has been laid as to how she
6 would know that. The only thing we've heard about this
7 document is that Mr. Tripp provided it to her at her
8 deposition. When I asked to dire voir, I was going to ask
9 her how she knows that it was produced by
10 Mr. Oligschlaeger or that it's a presentation that he
11 gave. As far as I know, she only knows that because
12 Mr. Tripp perhaps told her that. I think that's
13 astonishing bootstrapping. I don't think that lays any
14 kind of foundation that would bring this into the case.

15 JUDGE WOODRUFF: Mr. Tripp, did you have
16 any further foundation?

17 MR. TRIPP: No, I don't, your Honor.

18 JUDGE WOODRUFF: You may voir dire.

19 MR. THOMPSON: Thank you.

20 VOIR DIRE EXAMINATION BY MR. THOMPSON:

21 Q. Ms. Hanneken, how do -- if you know, why do
22 you believe that Mark Oligschlaeger prepared or produced
23 this?

24 A. Because that is the way it was presented to
25 me by Mr. Tripp in my deposition.

1 **Q. That's your only knowledge?**

2 A. As far as I'm aware right now, yes.

3 MR. THOMPSON: Thank you. I'm going to
4 make that objection that it hasn't been authenticated.
5 There has been no foundation. She received a document
6 from Mr. Tripp, and all she knows about it is what
7 Mr. Tripp told her.

8 MR. MILLS: And Judge, if I may further add
9 to that, even if this witness could say, yes, absolutely
10 this was prepared by Mr. Oligschlaeger, the disclaimer
11 makes it irrelevant to this case because it's
12 Mr. Oligschlaeger's personal beliefs and it says it is not
13 the belief or the position of the Commission or the Staff.

14 So even if this witness could authenticate
15 it, which she can't, it doesn't have any relevance because
16 Mr. Oligschlaeger is not testifying about this issue and
17 he's not here and, furthermore, it's hearsay.

18 JUDGE WOODRUFF: Your response, Mr. Tripp?

19 MR. TRIPP: No. You can rule, Judge.

20 JUDGE WOODRUFF: All right. I'm going to
21 sustain the objections and the document will not be
22 received.

23 MR. TRIPP: Judge, may I continue inquiring
24 on another topic?

25 JUDGE WOODRUFF: You may.

1 CROSS-EXAMINATION (RESUMED) BY MR. TRIPP:

2 Q. Let's talk about how you determine that
3 \$1.5 million rate case expense was prudent and reasonable
4 in this particular case.

5 A. All right.

6 Q. First, your recommendation for rate case
7 expense is based on the overall level of expenses and not
8 on whether a particular category of rate case expense
9 should be disallowed, true?

10 A. Correct.

11 Q. And, for example, you didn't look at a
12 Concentric bill and decide that shouldn't be disallowed,
13 true?

14 A. I did look at individual invoices, as I
15 said before, to determine that they were prudent and
16 reasonable, to check to see that you didn't pay a bill
17 twice or those type of things.

18 Q. Right. But you've not seen anything in
19 your audit in this case to indicate that the company has
20 not prudently utilized internal resources before hiring
21 outside consultants or outside attorneys to prosecute this
22 rate case, true?

23 A. Not in the documentation I received to
24 date, which is quite dated.

25 Q. Now, instead your methodology is described

1 in Staff's cost of service report, which stated as
 2 follows: Staff examined what other large utilities in
 3 Missouri have spent in order to process recent rate cases
 4 and then reviewed the actual costs from Ameren Missouri's
 5 two previous rate cases and compared that to the projected
 6 expenses for the current case. Did I state that
 7 correctly?

8 A. Correct.

9 Q. And Staff's analysis, as your cost of
 10 service report reads, of other large utilities was based
 11 upon data received in response to informal data requests
 12 as part of AW-2011-0330, correct?

13 A. Correct.

14 Q. And Staff viewed the amount of rate case
 15 expenses required to complete various rate cases in the
 16 past few years when they did this, correct?

17 A. Not for the other large utilities, not the
 18 amount. I looked at what they spent their money on, not
 19 how much.

20 Q. In DR response 16 it states, Staff reviewed
 21 the amount of rate case expense required to complete
 22 various rate cases in the past few years, true?

23 A. I believe that's what it does state.

24 Q. And it's true that this review was to gain
 25 knowledge of what costs other large utilities incur for

1 rate case expense in order to assess if Ameren Missouri
2 was incurring costs which were unusual as comparable to
3 what other utilities typically incur. Isn't that what DR
4 16's response states?

5 A. As to whether or not Ameren Missouri is
6 incurring the same types of costs as other utilities in
7 the state.

8 Q. Are you saying that I did not read your
9 response to DR 16 correctly?

10 A. I don't know if you read it word for word,
11 but that is -- that is what it states.

12 MR. TRIPP: May I approach the witness,
13 your Honor?

14 JUDGE WOODRUFF: You may.

15 BY MR. TRIPP:

16 Q. Ms. Hanneken, I'm showing you Staff
17 response to DR 16.

18 JUDGE WOODRUFF: This will be 53.

19 MR. TRIPP: Thank you, your Honor.

20 (AMEREN EXHIBIT NO. 53 WAS MARKED FOR
21 IDENTIFICATION.)

22 BY MR. TRIPP:

23 Q. Ms. Hanneken, first of all, you recognize
24 that that's the answer you gave in response to --

25 A. Correct.

1 Q. -- DR from Ameren Missouri, correct?

2 A. Yes.

3 Q. And that's dated July 19th, 2012?

4 A. Correct.

5 MR. TRIPP: Your Honor, move to admit DR
6 Staff 16, which is Exhibit 53.

7 JUDGE WOODRUFF: 53 has been offered. Any
8 objections to its receipt?

9 MR. THOMPSON: No objection.

10 JUDGE WOODRUFF: Nearing none, it will be
11 received.

12 (AMEREN EXHIBIT NO. 53 WAS RECEIVED INTO
13 EVIDENCE.)

14 BY MR. TRIPP:

15 Q. So, Ms. Hanneken, looking now at that DR
16 response, isn't it true at the very beginning of that
17 response said that regarding Staff's cost of service
18 report, Staff's analysis of other large utilities was
19 based upon data received in response to that AW-2011-0330
20 case, correct?

21 A. Correct.

22 Q. And then Staff viewed the amount of rate
23 case expense required to complete various rate cases in
24 the past few years, correct?

25 A. Yes. What the amounts were spent on, yes.

1 Q. And this review was to gain knowledge of
2 what costs other large utilities incurred for rate case
3 expense in order to assess or access if Ameren Missouri
4 was incurring costs which were unusual, correct?

5 A. Correct.

6 Q. And that's part of what you did, and that
7 was part of a reasonable check, at least was what you
8 state here, correct?

9 A. Correct. To see if Ameren Missouri's costs
10 were in line with what other utilities spent their money
11 on, yes.

12 Q. And those other utilities were Empire
13 District, KCPL, KCPL GMO, correct?

14 A. Correct.

15 Q. And though you reviewed this information to
16 determine whether Ameren Missouri's request was
17 reasonable, Ameren Missouri's unable to review that same
18 information that you looked at, aren't they, Ms. Hanneken?

19 A. At the current time, yes.

20 Q. And you were looking at that information
21 when you were determining what level of rate case expense
22 was reasonable or appropriate in this case?

23 A. That amount did not play into the
24 calculation of the 1.5 million. That amount was just a
25 reasonableness check to ensure that Ameren Missouri was

1 not incurring costs that other utilities within the state
2 did not normally incur. So it's sort of like me looking
3 at the invoices to see if you were double paying. I was
4 making a prudence check to see if the costs you were
5 incurring were reasonable as compared to what other
6 companies were incurring. Like, for example, did KCPL
7 hire outside attorneys?

8 Q. Ms. Hanneken, let me ask you this question.
9 The truth is, is that I cannot look at the information
10 that you looked at when you were determining the
11 reasonableness or the prudence of Ameren Missouri's rate
12 case expense costs, correct? I cannot look at the
13 information that you looked at, true?

14 A. Not currently because it is classified as
15 highly confidential. We're trying to get it declassified.

16 Q. I understand that, but it's not even yet
17 been declassified?

18 A. Correct.

19 Q. Now, that spreadsheet data that you
20 reviewed for each of these large utilities would tell
21 Ameren Missouri how its rate case expense would have
22 stacked up against rate case expense of other large
23 utilities that you looked at, true?

24 A. I'm sorry. Could you repeat that?

25 Q. Yes. That spreadsheet data that you

1 reviewed about the other large utilities that you looked
2 at, that would tell Ameren Missouri how its rate case
3 expense would have stacked up against the rate case
4 expense of those other large utilities, true?

5 A. I'm not sure if I'm understanding your
6 question. Are you saying that the dollars in totality?
7 Are you talking about the types of expenses? Could you
8 clarify that, please?

9 Q. Sure.

10 MR. TRIPP: May I approach the witness,
11 your Honor?

12 JUDGE WOODRUFF: You may. And this will be
13 54.

14 (AMEREN EXHIBIT NO. 54 WAS MARKED FOR
15 IDENTIFICATION.)

16 MR. TRIPP: And I believe this contains --
17 I believe this contains at least a couple columns of
18 highly confidential information, your Honor. We request
19 that it be marked highly confidential.

20 JUDGE WOODRUFF: It's 54HC.

21 BY MR. TRIPP:

22 Q. Ms. Hanneken, with regard to what I just
23 handed you which has been marked as 54HC, this is a
24 document that you provided to me during your deposition,
25 correct?

1 A. Correct.

2 Q. And this is information that you had
3 available to you and indeed reviewed and relied upon in
4 forming your opinion in this case as to the recommendation
5 of what rate case expense was reasonable, true?

6 A. Correct. It's what Ameren Missouri
7 provided to Staff.

8 MR. TRIPP: Your Honor, move to admit
9 Exhibit 9 into evidence -- or I'm sorry, 54HC.

10 JUDGE WOODRUFF: 54HC has been offered.
11 Any objections to its receipt?

12 MR. MILLS: Judge, I don't know that I have
13 an objection to its receipt. I'm not sure I agree it
14 should be categorizethis as highly confidential. I don't
15 see anything on here that indicates it's highly
16 confidential. It appears to be information from past rate
17 cases that are historical information which generally does
18 not fit into the Commission's classification of highly
19 confidential information.

20 JUDGE WOODRUFF: Mr. Tripp, why would this
21 be HC?

22 MR. TRIPP: Well, because it's the same
23 stuff that the Staff's refused to provide me that they
24 said was highly confidential about other utilities. So I
25 assumed that it was HC. It is historical information.

1 It's never been published, but it doesn't meet the highly
2 confidential designation, I understand.

3 JUDGE WOODRUFF: Does Staff believe this is
4 highly confidential?

5 MR. THOMPSON: No, Staff does not. This
6 is, in fact, Ameren Missouri's information. The
7 information Mr. Tripp is talking about that he hasn't been
8 allowed to see is information that belongs to other
9 companies, and there's a statute that prohibits the Staff
10 from revealing it to anyone.

11 JUDGE WOODRUFF: Mr. Tripp, do you withdraw
12 the HC?

13 MR. TRIPP: I'll withdraw the HC.

14 JUDGE WOODRUFF: Any other objections to
15 it's receipt?

16 MR. THOMPSON: No objection.

17 JUDGE WOODRUFF: Then it will be received.

18 (AMEREN EXHIBIT NO. 54 WAS RECEIVED INTO
19 EVIDENCE.)

20 BY MR. TRIPP:

21 Q. Ms. Hanneken, you told me in your
22 deposition that this spreadsheet was similar in terms of
23 the type of information that's recorded on it with regard
24 to KCPL, KCPL GMO and Empire, didn't you?

25 A. Correct.

1 Q. And that would be the information, just
2 another tab on the spreadsheet is what you told me it was?

3 A. Correct.

4 Q. So if I had this information, which isn't
5 highly confidential for Ameren Missouri, if I had that
6 information for KCPL, KCPL GMO and Empire, I'd be able to
7 look at these categories and compare those numbers,
8 wouldn't I?

9 A. If that was your intent of looking at it,
10 yes.

11 Q. And is it still your position that this
12 information with regard to those other utilities is highly
13 confidential?

14 A. That is the way they classified it. I'm
15 not a legal expert, so I can't tell you one way or the
16 other.

17 Q. All right. Just on this, while we're on
18 this Exhibit 54, it compiles the costs for outside
19 consultants and outside attorneys, true?

20 A. It shows that they did hire them, yes.

21 Q. Well, it also shows the amount?

22 A. It does. Yes, it does.

23 Q. And it also shows, for example, the total
24 rate case expense per customer, true?

25 A. Yes, it does.

1 Q. All right. And so again, if I had that
2 information, I could look at Ameren Missouri and look at
3 KCPL, look at KCPL GMO and Empire just to see as a
4 reasonable check, like you did, how reasonable Ameren
5 Missouri's rate case expenses have been, correct?

6 A. No. I don't think that would be a good
7 comparison.

8 Q. Well, I didn't ask if you thought it would
9 be a good comparison. I could do that comparison,
10 couldn't I?

11 A. Yes.

12 Q. All right. And, in fact, as I understand
13 it, your testimony is that when you looked at these other
14 tabs on this spreadsheet that had this information for
15 other utilities, you were just simply looking to see
16 whether or not KCPL, in fact, had expenses for outside
17 consultants or outside attorneys, true?

18 A. Correct.

19 Q. You didn't bother to look at what the cost
20 was?

21 A. Correct, because that was not part of my
22 analysis.

23 Q. So if KCPL had \$10 for outside consultant
24 costs, for example, that wouldn't have mattered; it's just
25 that they had an expense for outside consultants, that was

1 the only thing that was relevant to you?

2 A. I believe I said in my deposition that I
3 realized that everyone had around 100,000 range in
4 hundreds of thousands of dollars. So if there were a \$10
5 item, I would have quickly recognized that and saw that
6 that was an outlier.

7 Q. With regard to total rate case expense per
8 customer, the last three rate cases for Ameren Missouri
9 that are recorded on Exhibit 54, each of those averages
10 were lower than, for example, another large utility that
11 you looked at, true?

12 A. I did not make that comparison.

13 Q. Didn't look at, for example, KCPL GMO?

14 A. No, because I think if you try to compare
15 those numbers, there's a lot of skewing. You can't
16 compare it apples to apples.

17 Q. The bottom line is, though, the information
18 you looked at, regardless of what you looked at, we're
19 unable to look at today to determines the reasonableness
20 of prudence of Ameren Missouri's rate case expense, true?

21 A. Yes.

22 Q. I want to return to how you actually
23 determined that a potential recovery of \$1.5 million in
24 rate case expense was appropriate. And let me know, your
25 Honor, if I need to stop at any point.

1 You contend in forming your opinion in this
2 rate case with regard to the appropriate level of rate
3 case expense, you did no analysis with regard to the
4 issues that face these other large utilities, true?

5 A. Correct.

6 Q. You didn't compare the number of issues
7 between those utilities and the number of issues in this
8 case, for example?

9 A. I wasn't basing my \$1.5 million on what
10 other utilities have spent.

11 Q. So you didn't compare the relative size of
12 the utilities, the total number of witnesses filing
13 testimony?

14 A. There was no need to for my analysis.

15 Q. Didn't compare the number. Intervenors,
16 didn't -- in fact, you believe that that testimony is
17 irrelevant to what other utilities spend in rate case
18 expense, true?

19 A. There are too many variables, and I had
20 actual Ameren Missouri history historical data to rely
21 upon.

22 Q. Well, let's talk about that comparison that
23 you did. You didn't have any comparison regarding the
24 number of issues in this rate case with any of those prior
25 rate cases, did you?

1 A. Only what's been presented in prior
2 testimony.

3 Q. But when I talked with you in your
4 deposition at least, you had not done any comparison with
5 regard to the number of issues in this rate case with
6 Ameren Missouri's prior rate cases; isn't that true?

7 A. No.

8 Q. That's not true?

9 A. I'm sorry. Yes, it is true that I had not
10 made that comparison because I was very familiar with the
11 rate case.

12 Q. You did not compare the total number of
13 witnesses in each rate case, correct?

14 A. No.

15 Q. Total number of outside consultants in each
16 rate case? We're just talking Ameren Missouri.

17 A. Correct.

18 Q. Did not compare the number of intervenors?

19 A. That was not part of my analysis.

20 Q. Number of outside consultants, right?

21 A. Correct.

22 Q. Before making your recommendation in this
23 case, you did not conduct any specific analysis to take
24 into account the fact that any number of intervenors such
25 as MIEC can hire attorneys to represent them in rate cases

1 and retain outside consultants to testify concerning the
2 company's request; isn't that true?

3 A. Well, that happens in every rate case, so I
4 did not make an analysis.

5 Q. I'll cut this short here. In preparing
6 your recommendation for this \$1 million annualized rate
7 case expense, you didn't use any particular mathematical
8 formula to arrive at that amount in comparison with Ameren
9 Missouri's last rate cases, true?

10 A. I looked at the declining balance and
11 looked at what the appropriate level of ongoing -- the
12 ongoing level of rate case expense, what it would be based
13 on the declining balance of the historic and also based on
14 the estimate.

15 Q. Ms. Hanneken, you didn't do any
16 mathematical calculation, that was my question, correct?

17 A. Not on paper, no.

18 Q. All right. And you didn't conduct any real
19 analysis of this case compared with past rate cases but
20 based your recommendation at least in part on your
21 assumption that, as I think you've already said, rate case
22 expense would continue to decrease, correct?

23 A. Correct.

24 Q. And with regard to the sense that rate case
25 expenses have been decreasing, isn't it true that you're

1 not able to tell me whether in the last five years hourly
2 rates for attorneys have increased or decreased?

3 A. Correct, because I did not look at it in
4 that microscopic type of view. I looked at in totality.

5 Q. You can't tell me generally whether outside
6 consultants' fees, hourly rates have increased or
7 decreased in the last five years, true?

8 A. True.

9 Q. Didn't even consider that information to be
10 relevant is what you told us, correct?

11 A. That was not necessary for my analysis.

12 MR. TRIPP: No other questions.

13 JUDGE WOODRUFF: I'll ask the
14 Commissioners, do you have extensive questions?

15 MR. TRIPP: I can stay.

16 COMMISSIONER KENNEY: I have nothing
17 extensive. Just a couple things.

18 JUDGE WOODRUFF: Mr. Chairman?

19 CHAIRMAN GUNN: I don't have anything.

20 COMMISSIONER KENNEY: I didn't think you
21 were going to get to me that quick. I don't have any
22 questions, Ms. Hanneken. You've been very helpful.

23 COMMISSIONER STOLL: No questions.

24 JUDGE WOODRUFF: Mr. Tripp, we -- I'm
25 sorry. We have no questions from the bench, so I guess

1 we'll go back -- there's no need for recross. We'll let
2 Staff do their redirect.

3 MR. THOMPSON: Thank you very much, your
4 Honor.

5 REDIRECT EXAMINATION BY MR. THOMPSON:

6 Q. Mr. Tripp asked you an extensive series of
7 questions about things you did not do; is that correct?

8 A. Correct.

9 Q. And you didn't disallow any part of their
10 rate case expense based on any of those things, did you?

11 A. No, I did not.

12 Q. How did you calculate one and a half
13 million dollars given that the company's estimate is
14 \$1.9 million?

15 A. Well, if you look at the historical data,
16 you can see that it's a downward trend, and you can see
17 approximately how much is declining. In addition, if you
18 look at -- if you noted, they historically overestimate
19 the amount of rate case expense, then you would be able to
20 say, okay, well, they normally overestimate about
21 20 percent, and you can apply that to the estimate in this
22 case, which would lead you to an approximate \$1.5 million
23 number.

24 Q. Now, in calculating that recommendation,
25 was it your intention to disallow any of the actual

1 **expenses that Ameren Missouri incurred in this case?**

2 A. No.

3 MR. THOMPSON: Thank you. I have no
4 further questions.

5 JUDGE WOODRUFF: Ms. Hanneken, you can step
6 down. And we'll stop there for the day, and we'll resume
7 tomorrow with Mr. Robertson on this issue, and then we'll
8 go back into the remaining issues for tomorrow, which I
9 believe are property tax refund property taxes and
10 renewable energy center costs. We'll come back at
11 8:30 tomorrow.

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1	I N D E X	
2	PLANT IN SERVICE ACCOUNTING	
3	Opening Statement by Mr. Byrne	547
	Opening Statement by Mr. Thompson	558
4	Opening Statement by Mr. Mills	563
	Opening Statement by Mr. Downey	571
5		
6	AMEREN MISSOURI'S EVIDENCE:	
	LYNN BARNES	
7	Direct Examination by Mr. Byrne	575
	Cross-Examination by Mr. Mills	580
8	Cross-Examination by Mr. Thompson	600
	Questions by Chairman Gunn	611
9	Questions by Commissioner Jarrett	618
	Questions by Commissioner Kenney	625
10	Further Questions by Chairman Gunn	637
	Recross-Examination by Mr. Downey	654
11	Recross-Examination by Mr. Mills	656
	(In-Camera Session - See Index Below)	
12	Recross-Examination by Mr. Thompson	674
	Redirect Examination by Mr. Byrne	675
13	Further Questions by Commissioner Kenney	690
	Further Questions by Commissioner Jarrett	703
14	Questions by Commissioner Stoll	709
	Further Recross-Examination by Mr. Downey	712
15	Further Recross-Examination by Mr. Mills	715
	Further Recross-Examination by Mr. Thompson	720
16	Further Redirect Examination by Mr. Byrne	725
17	LYNN BARNES (In-Camera Session - Volume 20)	
	Cross-Examination by Mr. Mills	662
18		
	MIEC'S EVIDENCE:	
19	MIKE BROSCHE	
20	Direct Examination by Mr. Downey	733
21		
22		
23		
24		
25		

1	STAFF'S EVIDENCE:	
2	JOHN CASSIDY	
	Direct Examination by Mr. Thompson	735
3	Cross-Examination by Mr. Byrne	738
	Questions by Chairman Gunn	741
4	Questions by Commissioner Jarrett	742
	Questions by Commissioner Kenney	745
5	Further Questions by Chairman Gunn	757
	Recross-Examination by Mr. Downey	761
6	Recross-Examination by Mr. Mills	762
	Recross-Examination by Mr. Byrne	765
7	Redirect Examination by Mr. Thompson	768
8	OPC's EVIDENCE:	
9	TED ROBERTSON	
	Direct Examination by Mr. Mills	770
10	Questions by Commissioner Kenney	772
	Questions by Chairman Gunn	773
11	Redirect Examination by Mr. Mills	774
12		
	INCOME TAX AND ADIT AND NOL	
13		
	Opening Statement by Mr. Byrne	776
14	Opening Statement by Mr. Thompson	782
	Opening Statement by Mr. Downey	783
15		
	AMEREN MISSOURI'S EVIDENCE:	
16		
	JAMES WARREN	
17	Direct Examination by Mr. Byrne	787
18	MIEC'S EVIDENCE:	
19	MIKE BROSCHE	
	Direct Examination by Mr. Downey	789
20	Questions by Chairman Gunn	790
	Questions by Commissioner Kenney	792
21	Recross-Examination by Mr. Byrne	798
	Redirect Examination by Mr. Downey	803
22		
23		
	RATE CASE EXPENSE	
24		
	Opening Statement by Mr. Byrne	807
25	Opening Statement by Mr. Thompson	825

1

AMEREN MISSOURI'S EVIDENCE:

2

LYNN BARNES

3

Direct Examination by Mr. Tripp 850

Cross-Examination by Mr. Mills 851

4

Cross-Examination by Mr. Thompson 859

Questions by Chairman Gunn 867

5

Questions by Commissioner Kenney 868

Redirect Examination by Mr. Tripp 870

6

Questions by Commissioner Jarrett 871

7

STAFF'S EVIDENCE:

8

LISA HANNEKEN

Direct Examination by Mr. Thompson 874

9

Cross-Examination by Mr. Mills 875

Cross-Examination by Mr. Tripp 878

10

Redirect Examination by Mr. Thompson 912

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1	AMEREN EXHIBITS INDEX		
2		MARKED	RECEIVED
	EXHIBIT NO. 10		
3	Rebuttal Testimony of James I. Warren	787	788
4	EXHIBIT NO. 11NP/HC		
	Direct Testimony of Lynn M. Barnes	575	580
5			
	EXHIBIT NO. 12NP/HC		
6	Rebuttal Testimony of Lynn M. Barnes	575	580
7	EXHIBIT NO. 13		
	Surrebuttal Testimony of Lynn M. Barnes	575	580
8			
	EXHIBIT NO. 49		
9	Color Chart used by Mr. Byrne in		
	Opening Statement	602	603
10			
	EXHIBIT NO. 50		
11	Chart Requested by Commissioners from		
	Lynn Barnes	*	
12			
	EXHIBIT NO. 51		
13	7/30/2012 Letter to Mike Tripp from		
	Steve Reed, Attachment	888	
14			
	EXHIBIT NO. 52		
15	NARUC Presentation by Mark		
	Oligschlaeger	892	
16			
	EXHIBIT NO. 53		
17	Staff DR No. 16	898	899
18	EXHIBIT NO. 54		
	Ameren Missouri Rate Case Expense		
19	History	902	904
20	STAFF'S EXHIBITS		
21	EXHIBIT NO. 200		
	Direct Testimony of John P. Cassidy		738
22			
	EXHIBIT NO. 203		
23	Staff Accounting Schedules		738
24	EXHIBIT NO. 208		
	Rebuttal Testimony of John P. Cassidy		738
25			

1	EXHIBIT NO. 234	
	Surrebuttal Testimony of John P.	
2	Cassidy	738
3	EXHIBIT NO. 235	
	Surrebuttal Testimony of John P.	
4	Cassidy, Highly Confidential	738
5	EXHIBIT NO. 236	
	Surrebuttal Testimony of Lisa Hanneken	875
6		
	OPC'S EXHIBITS	
7		
	EXHIBIT NO. 406NP/HC	
8	Direct Testimony of Ted Robertson	772
9	EXHIBIT NO. 407NP/HC	
	Rebuttal Testimony of Ted Robertson	772
10		
	EXHIBIT NO. 408	
11	Surrebuttal Testimony of Ted Robertson	772
12	*Reserved for Late-Filed Exhibit.	
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1

2

C E R T I F I C A T E

3

STATE OF MISSOURI)

) ss.

4

COUNTY OF COLE)

5

I, Kellene K. Feddersen, Certified

6

Shorthand Reporter with the firm of Midwest Litigation

7

Services, do hereby certify that I was personally present

8

at the proceedings had in the above-entitled cause at the

9

time and place set forth in the caption sheet thereof;

10

that I then and there took down in Stenotype the

11

proceedings had; and that the foregoing is a full, true

12

and correct transcript of such Stenotype notes so made at

13

such time and place.

14

Given at my office in the City of

15

Jefferson, County of Cole, State of Missouri.

16

17

Kellene K. Feddersen, RPR, CSR, CCR

18

19

20

21

22

23

24

25

A	873:20	757:17 759:7	590:14,19	accounts 676:9
AAO 570:1,3	888:13	759:14	591:11,14,18	729:24 791:4
570:11,17,19	889:25	777:25	591:21	792:13
743:7 769:11	891:18 905:6	786:12 792:4	592:19	800:18
770:1,6	911:1 912:19	797:7 805:10	593:11,13,15	accrual 548:11
AARP 545:19	abnormal	851:22	595:1 596:8,9	548:20
ability 564:13	709:22,24	855:12 882:7	596:19,22	553:13,15
599:18 604:5	710:21	882:24	597:1,6,10,12	755:5 757:1
609:5 615:1	above-entitled	909:24	607:17 608:3	795:11,15
615:15	919:8	accountant	612:17,21	accrue 547:24
619:23 624:1	absent 743:20	569:20 597:9	614:12	570:4 589:11
645:19	absolutely	630:2 771:2	615:10	741:2 755:1,8
646:10	563:4 585:4	accountants	616:24 619:1	755:21 795:7
687:22	603:11	831:17	619:9,14	accrued 756:20
700:25 711:9	605:24	accounted	620:16	accruing
814:17	639:25	690:22 693:1	621:11,14	553:17
able 586:6,20	640:24	869:13	622:5 623:16	accumulate
587:14 588:4	648:11,15	accounting	630:14	666:3
588:11 590:6	682:6 685:7	547:5,8,11,17	635:15	accumulated
606:11	723:10	550:2 552:8	640:25	554:23
608:17 614:1	795:18 808:8	552:11,12,20	644:20	574:14
614:11,13,19	814:6 819:8	552:23 553:8	645:13 650:6	669:11
617:13 621:7	821:13 822:9	553:12,25	651:24 658:4	717:23
621:22 624:4	829:17	554:7,19,22	658:18,23	776:18
624:5,5	830:20	555:3,12,14	659:7 670:4,7	780:25
636:12	832:10 838:9	555:22 556:4	680:12	782:24 783:4
640:24 646:6	843:25 895:9	556:10,25	682:13	785:10
646:12,12,22	abstract 784:20	557:8,12,15	684:16 685:2	800:18
646:24,24	accelerated	558:24	686:1 688:2	803:24
647:8,19,21	785:13,20	561:12 562:2	698:25 699:7	805:13,13
648:20	accept 606:3	564:2,4	713:17 717:1	accumulation
653:16	794:16	566:22,22,23	717:8 736:18	570:16
656:12 682:2	Accepted 597:9	566:23	738:17 740:4	accuracy
697:12	access 634:20	567:10,14,15	742:3 743:3	629:11
699:21,22	689:2 817:8	568:2,13	748:5 754:23	accurate
700:2,13,14	900:3	570:11	770:5 772:24	553:16 587:7
700:17 701:2	accessing	571:22	773:1 774:23	705:21 723:5
707:13	686:13,16,20	572:21 573:2	775:6 776:3	838:10 885:2
708:25	686:23	573:7 574:24	793:4,9,13	accurately
711:10	accord 893:3	577:22	796:15	573:5 693:7
720:11	account 567:5	580:19	798:25	782:11 784:8
743:19 773:1	574:14	581:22 582:3	799:15,20,25	accustomed
791:25	633:14	582:6,10,12	800:24 804:4	566:17
794:11 797:3	639:16 644:9	582:13 583:1	818:13,16	achieve 748:2
799:8 804:25	701:16,21	583:15	914:2 917:23	achieved 753:8
859:6 872:10	702:12,16	584:12	accountings	753:14,23
872:11	738:18	585:12	827:23	754:19 828:7

achieves	669:1 670:5	552:2 553:20	adjust 597:12	759:13 760:3
796:21	672:14	554:5 669:9	643:6 685:16	760:25
achieving	677:17	669:18,20,21	753:16	761:23
631:22	683:21 715:2	717:22	759:19	765:16,21,22
acknowledged	715:7 723:13	771:13	773:10	766:10
816:16	728:12 729:2	804:14,19	774:18,22,25	admin 855:22
acquire 784:12	833:20	805:12	832:13 867:1	administration
Acronym	891:21,24	address 552:12	adjusted	845:18
847:11,12	895:8	552:24	553:10 637:9	admission
acronyms	added 548:2,4	571:20 581:4	637:9,10,17	579:6,8,15,17
776:19	573:21 574:5	581:8,14,16	638:6 749:21	579:19
act 795:20	655:18,25	685:19 741:6	759:6 760:24	887:18
827:14,15,16	669:21 677:3	775:13	768:5 773:2	888:22,25
acted 841:4	705:4,9 715:7	776:15 790:4	781:13	889:7,10,16
action 617:15	723:25 731:3	794:25	821:19	889:20,23
849:12	731:12	addressed	adjusting	890:9,10
actions 872:7	749:19	572:5 653:16	677:22	891:2,2,5
activities 879:7	750:25 786:8	790:5 801:6	794:15	892:4
acts 837:7,9	786:9 802:1	831:1,12	adjustment	admit 697:8
actual 612:14	adding 559:9	886:17	554:24	899:5 903:8
628:16	559:21	addresses	716:20,21,22	admittance
637:16,16,18	560:18,18	573:8 619:12	726:19	887:17
643:25 645:1	705:14 715:8	adds 556:15	728:13,22	admitted
675:22 676:1	750:9	729:18	731:7 742:4	850:19
677:23	addition	adequate	749:10 750:4	admittedly
690:18	548:12	550:20 561:8	761:22,22	622:24
694:25 695:2	634:12	600:2 626:24	763:10	adopt 552:8
695:4,7,10,13	668:25 669:7	657:16,19	766:13	555:13
696:1,21,21	802:10 803:7	700:12,24	773:13	772:24 785:6
696:23	851:13	831:10	774:19	adopted 553:4
697:17	912:17	adequately	779:21	554:1,22
710:14 715:4	additional	846:11 848:2	780:22	555:3 573:6
719:14 725:1	615:2 655:25	848:3 850:4	781:15	581:3,11
726:7,17,19	667:13 669:1	ADIT 554:23	783:25 784:1	617:2 740:3
727:2 728:17	669:1,17	555:7,9,10	784:3,4,6	adoption
732:2 748:19	690:5 692:13	574:15,20	785:7,7 793:9	547:16 554:7
752:22 754:4	697:2 700:7	592:14,18,23	793:11,25	688:1 798:24
768:1,5	731:22	593:3,8 776:4	799:7,12,13	804:4
769:16,24	739:18	776:9,17	799:16 808:9	adopts 684:16
807:14 863:8	752:24	780:25	844:5	advance 622:13
866:6 897:4	753:20	782:12	adjustments	848:20
908:20	785:17	783:16	677:24	advantage
912:25	793:14	785:11,13,17	678:10 700:5	588:17 626:1
actuals 696:22	800:23 809:5	785:24	727:3 730:21	687:21
ad 836:23,23	additionally	786:13,14	731:23 752:1	804:11
ADA 827:15	589:3 699:24	803:20,21	752:24	adversely
add 574:12	additions 550:1	804:8 915:12	753:20	550:13

advertisement	553:15	652:16	aligns 595:10	584:16
830:22	555:23 556:1	674:11 675:2	allegation	591:21 740:7
advertising	556:4,7,10,14	721:14	843:18,18,19	740:8 756:6
751:21	568:6,9	722:12 724:9	alleged 807:19	756:12
761:16,19	573:11,14	724:14,19	alleging 877:4	allows 549:5
836:21,22,24	589:11	725:23 726:2	allocate 784:15	555:23 568:3
848:8 857:12	611:21 681:7	726:14,15	allow 556:2	568:4 589:24
857:14 858:9	689:17,23	728:24	581:7 589:22	609:2 615:13
858:13 876:5	691:17	729:15,16	606:20 624:4	681:5 699:16
876:12,16,20	740:12 741:2	741:12,18	638:9 644:23	784:24
876:24 877:6	755:2,5,10,21	746:25	658:13 690:8	785:14
877:9,16,20	756:18,23	750:16 754:9	691:17,20	altering 616:9
advice 617:18	757:1,5	759:23 760:6	743:18 747:6	alternative
advocate	763:15 786:5	773:6 812:7	755:11,18	560:12 589:1
708:11	786:7,12	813:4,20	756:18,19	589:9 842:12
advocated	795:15,18,23	815:5,11	795:11,12,15	846:3 853:7
831:21 832:6	797:2	829:15	808:12 821:4	873:23
848:21	age 553:24	839:24	837:2 851:23	altogether
Advocates	565:1 700:5	846:14 848:1	878:12	570:6
847:5	agencies 626:2	850:6 862:25	881:10	ameliorate
advocating	agency 636:15	863:13	allowable	608:4
840:14,23,24	820:9	865:19	878:25	Ameren 543:12
848:9 854:21	aggregating	868:14	allowance	547:4,9
AEP 703:5	804:17	879:10	547:25	549:20,24
affect 555:5	aging 653:7,15	903:13	573:10	551:3 553:21
684:12	685:14 739:5	agreed 567:14	750:25 795:6	553:23 554:8
689:12 707:9	ago 587:4,7,10	729:14	807:9,18	554:12,17
707:10 716:5	645:10	agreed-upon	allowed 587:15	559:1 572:2
792:9 826:25	648:19,20	566:25 589:2	590:7 614:11	572:15,17
affiliated 791:2	666:20	agreeing 759:2	619:5 625:24	573:3,10,12
afford 555:15	693:15	agreement	637:12,13	574:6,11
872:15	824:24	708:17	638:14 649:2	575:10,20
afternoon	827:12	agrees 878:10	677:6 688:8	580:6 586:19
690:15 733:2	853:22	878:16,21	693:24	602:6 603:18
738:13,14	agree 566:25	879:3,12,25	695:19	609:8,9,10,13
742:20,21	567:10,10	880:6	714:24	609:19,21
775:12	569:10	ahead 579:20	727:18 732:4	610:23 620:9
783:22 786:4	593:25	602:1,13	755:1 763:20	623:15
787:10 790:1	594:24	733:12,17	781:6 795:7	627:20
790:6 792:25	597:25	776:7 806:19	795:18	686:12,17
793:1 833:22	600:19 601:3	807:2 874:5	801:23 808:7	691:22 697:5
874:11 878:4	601:7 603:24	886:23	811:12 837:8	699:10 714:1
878:5	604:8,19	892:10	841:16 872:6	723:12 727:2
after-tax 679:6	605:16 606:4	aid 601:20	877:5 904:8	734:22
679:8	606:16,20	air 551:20	allowing 554:8	738:10 742:8
AFUDC 548:1	608:2,11,20	865:15	570:1,4	743:6 747:16
548:1,4,11,20	627:3 640:11	aligned 695:14	573:14	748:1 754:15

756:11,14	868:10 869:1	598:16	635:10 723:5	answered
758:10	870:16 878:2	603:25 613:8	723:8 807:19	670:20
761:21	888:4 892:16	639:4,9	807:21 897:9	743:24
765:11 767:5	897:4 898:1,5	668:10 670:6	899:18	812:12
767:12,17,19	898:20 899:1	700:22	906:22 908:3	871:25
772:18	899:12 900:3	731:17	908:14	answering
774:12	900:9,16,17	744:10 750:7	909:19,23	636:22
776:11,23,25	900:25	751:22	910:4,19	answers 563:11
776:25 777:3	901:11,21	769:17,22,24	911:11	563:13
777:3,13,16	902:2,14	770:2 794:10	analyst 635:6	576:24
777:16,19,20	903:6 904:6	794:13,17	analyze 586:24	654:12
777:20 778:1	904:18 905:5	800:14	analyzes	707:22 737:5
778:3,4,5,7	906:2,4 907:8	807:11,14	794:21	771:18,20
778:12,12,16	907:20	825:20 828:7	analyzing	788:7 797:2
778:22 779:1	908:20 909:6	834:12	635:7	859:19 875:5
779:2,5,8,10	909:16 910:8	837:17	annoyed 708:9	anticipate
779:12,13,15	913:1 914:5	851:23	annual 543:13	668:1,21
779:17,19,22	915:15 916:1	853:19	667:21	689:8 873:9
780:1,2,3,14	917:1,18	854:16,20	825:19 827:2	882:6
780:17,18,21	AmerenUE	855:8 856:24	837:16	anticipated
781:4,6,9,21	544:14	863:1,14,18	863:15 864:9	668:6 710:8
782:14,15,17	Ameren's	863:24	866:4 867:2	873:4
782:17,21	571:20 572:1	880:20,21,23	881:13,15,20	anticipation
784:2,6,10,12	572:8 573:8	881:13,15	882:8,12	716:11
784:17,18,25	573:13 574:3	882:7,8	annualized	anti-CWIP
785:1,2,4,8	574:13,17	897:14,18,21	881:9 910:6	601:1 764:1
785:24 786:8	635:16 743:5	899:22	answer 551:11	anybody
786:16 787:5	743:6 748:19	900:23,24	556:12 557:3	627:19 733:3
788:17	784:10,19	905:21 910:8	575:1 583:7	834:8,9 857:2
790:14,21,22	785:9 786:5	912:19	587:20	anymore
791:1 792:3	805:10	amounts 716:4	596:15	562:22 655:1
794:10,17,23	820:23	732:16,17	655:24	745:23
798:8,13,18	839:14	751:20 786:9	659:10,13	anyway 568:2
804:24 806:3	870:21	866:3 878:13	673:10	627:18
807:5,8,23	882:19 885:1	883:15	683:18,21	apiece 719:12
808:17,17	Americans	899:25	697:6 716:12	apologize
809:3,9 810:6	827:16	AMY 546:8	718:3,22	562:25
810:15,17,25	amortization	analogies	720:12	737:20
811:13,17,23	854:15,19	836:18 876:4	724:18 744:2	757:25 769:8
811:24 816:1	amortize 826:1	analogous	767:24	861:23
833:1 837:18	854:4	558:13,16,16	774:20	871:21
838:5 839:2,5	amortized	877:6	799:18	apparently
839:12	595:7	analogy 565:2	812:13,13	711:10 844:4
840:18	amortizing	566:21	828:20,22	appeal 868:20
845:10	854:21	818:13 837:6	846:6,24	869:2,18,22
856:12	amount 548:5	848:7 877:10	882:1 884:19	869:22
861:14 868:5	550:18	analysis 613:15	885:2 898:24	appear 888:12

891:15	approach	751:12	article 564:6	814:14
APPEARAN...	571:21	761:18 763:7	articles 582:22	817:22
544:1	600:14	825:24	680:14,21	821:23
appeared	671:18 675:9	882:16	831:19,20	834:12
800:11	696:12 702:3	912:17	846:24	846:22
appearing	804:23	April 640:22	aside 635:22	aspect 568:3
709:11	832:11 853:2	727:23 731:8	756:16 757:1	599:20
appears 632:10	853:5 859:14	823:25 824:4	764:8	aspects 765:3
726:13	885:18	area 559:2	asked 569:7	aspire 821:21
903:16	886:13	606:5 624:3	571:3 613:21	assert 747:9
apple 643:21	892:11	832:19 861:2	624:18	841:8,25
643:21,23	898:12	areas 808:25	648:12 665:4	858:23
apples 637:21	902:10	arguably 603:2	667:1 670:18	asserted 840:12
637:22 643:8	appropriate	677:18	680:10	asserting
643:9,11,11	556:23 654:9	691:20 848:4	682:11 683:6	691:22
672:24,24	677:16,18	argue 553:7,19	683:15 686:4	assertion
678:1,1	680:19 681:4	554:6,21	686:12 695:5	819:12 842:7
706:21,21,23	700:1 709:12	778:14	743:1 747:1	844:16
706:23 711:9	714:18	779:21	753:19	assess 898:1
711:9 730:15	729:12	838:19	768:13	900:3
730:15 732:1	741:14,19	argues 776:23	769:11	asset 584:18
732:2 907:16	747:4 773:7,9	784:22	774:18	612:1,15,15
907:16	773:12	785:24	798:11,23	614:6 669:18
appliances	774:21,22,24	argument	807:20 827:4	681:5,7 683:1
551:18	794:4 811:4	567:25 568:7	828:15 849:4	689:22,22
applicable	817:20 823:6	569:4 590:14	857:9 870:14	756:7 785:14
578:9	823:13	644:18	871:22 881:6	785:23 796:1
application	854:24	651:18,22	887:4 894:8	796:3,3,4,5,5
583:14	880:17	692:5 753:16	912:6	796:7,24
776:17	883:20 884:1	786:2 795:10	asking 551:8	797:5,11,16
applied 689:17	900:22	795:14 818:4	552:7,8	797:17,18,19
689:19,23	907:24 908:2	822:7 830:6	570:19	801:17,22
applies 590:19	910:11	830:18 838:5	608:15	802:15,17
689:25	appropriately	840:17 848:6	617:16 645:6	assets 583:13
apply 583:15	723:17	866:17	648:17 650:5	583:16,19
590:19	757:16	arguments	655:11 659:8	584:21,22
822:19	approval	784:20	687:15	585:1,8 613:4
835:23	652:18	arising 574:15	691:14	613:6 645:18
912:21	793:13 804:1	arithmetically	704:17	666:11,13
applying 754:7	approve 793:9	673:21	705:21	667:14 668:3
appointment	799:19	arrive 754:17	706:11 707:4	668:5,7
873:6,21	approved	910:8	723:14	669:13
appreciate	556:6 686:1,2	arrived 629:25	747:18	674:25,25
592:16	approximate	630:6 697:18	767:18	681:17,24
654:10,11	912:22	750:16	769:12	685:14
823:15 825:6	approximately	art 710:4	802:14	785:25
846:6	576:15 587:2	720:21	803:20	796:11 797:2

797:3 802:1,3	549:23	attorneys	642:7 649:9	650:4,10
804:20	649:10,11	624:17 733:1	679:25	656:13
829:20	678:2 739:22	775:12	712:24	673:14
assign 761:17	754:17	806:21	801:23	677:10
assigned	773:11 784:1	808:16,19	authenticate	679:14 680:4
809:24	800:22 816:7	809:17 810:3	888:12	684:8 693:18
assigning	863:15	813:7 822:11	895:14	694:18
865:25	867:16	828:5 835:5	authenticated	695:14,19
assist 805:8	assumption	835:16 836:4	889:24 890:1	696:3 697:18
assistant	612:2 636:13	836:9 844:2	895:4	721:8 723:13
544:15	710:1 725:10	862:6 896:21	authenticating	724:1 729:1
855:22	842:9,13	901:7 905:19	891:13	732:6,7 741:9
860:18	866:11 881:1	906:17	authentication	741:14 748:3
associated	910:21	909:25 911:2	888:16 890:8	748:7 752:14
549:25	assumptions	attorney/client	authoritative	753:9 754:21
551:14 554:4	635:13	822:6,9,17	582:18	766:16
555:8 574:5	astonishing	823:11	authority 596:9	767:15
738:19	894:13	840:12,21	596:9,19,22	774:23
739:19	attached	841:5,25	597:6 698:25	automatic
743:16	577:13 745:8	842:4 843:9	821:8 839:18	617:23,25
744:11	746:1,9	843:20	authorize	821:10
759:10,14	748:18 749:1	attract 791:10	591:18	availability
781:20,24	749:2 886:20	791:25	684:13	625:25
785:11,25	888:10	attributable	695:24	636:15
817:1 868:20	Attachment	710:16 781:1	authorized	available 558:8
869:1	917:13	784:17	550:5,8 551:6	634:17,21
Associates	attempt 581:8	attribute 710:4	552:24 572:4	635:12
698:20	635:11 643:7	attributes	572:20	775:10 790:3
809:22	715:22 716:6	744:3	580:18	791:24 804:5
Association	attempted	attrition 573:6	586:21	805:8 903:3
847:4	742:9 799:18	801:5	608:13 609:3	Avenue 544:3
assume 636:10	attempting	audience 660:9	609:4 613:14	545:13
636:11 656:2	743:8 779:24	721:17	614:14	average 626:11
668:9 708:25	880:2,8	732:25	615:24 616:5	626:11,25
716:8 735:3	attempts 821:5	audiences	626:10 627:2	627:1,2,6,6,6
740:10 791:5	attend 879:6	722:2	627:5 630:7	627:8,10
794:9,14	attended 827:7	audit 604:23,25	630:19,24	630:22 631:3
838:9 891:6	attention	755:24	632:11	633:1,4,13,19
assumed	565:20	896:19	635:19	633:25 640:2
693:12	696:18	auditor 736:2	637:23 640:3	641:24 642:3
864:13	attitude 835:15	876:8	640:18,19	642:22,25
903:25	attorney 544:2	auditors	641:16,22	646:8 647:1
assumes 694:7	544:2,6,10,15	809:25	642:18 644:6	647:23
696:3 880:20	544:20,20	audits 604:20	644:24	648:21 673:3
880:21	545:1,4,8,12	August 613:7	645:20	674:1,9 691:4
889:17	545:16,20	633:10	646:25 647:2	725:16
assuming	843:15	640:16,22	647:8,13,20	794:13

842:17	650:18 651:1	871:10	818:1 826:18	654:17,21
866:25	654:16,19	bad 649:14	850:10,15,17	666:11
882:20,23	665:1 670:17	690:14,17	851:3 872:25	677:19,20
883:9	677:3,17	765:2	882:4,13	686:6 689:4
averaged 692:3	678:18,22,23	baked 573:24	914:6,17	691:8 698:1
786:7	686:18	865:9	916:2 917:4,6	698:18 710:1
averages	690:15 691:6	balance 594:15	917:7,11	711:3 712:10
643:16 645:2	691:15	599:11 600:6	Barnes-Jewish	725:12
907:9	694:15	619:25	545:15	728:15
avoid 700:18	695:24	740:16	base 548:5	729:13 731:1
765:2	702:15 703:5	758:14	555:9 573:17	732:8 742:7
AW 886:3	703:8,8 705:5	800:15,16,17	593:5,17	748:9 761:6
award 821:9	705:9 707:21	910:10,13	612:1,25	767:8 774:7
awarded	709:5 712:10	balanced 615:7	613:9 669:9	776:25 780:2
608:23	713:14 715:2	balances 683:4	669:12,13,22	780:15 798:3
aware 596:17	715:7,7,8	785:17	681:5 688:7,9	807:9,18
811:11 818:4	719:7 723:13	786:13,14	716:21,25	818:2 819:12
818:18	723:15,25	804:8	717:6,7,12,16	822:17,19
823:17	728:12 729:2	bar 675:25	717:18,20,21	823:9 825:20
831:18,24	729:18 731:3	727:10,22,22	717:22,24	826:7,17
832:3 846:25	732:17	727:22	744:6 755:9	827:17,25
847:3 858:15	733:13,16	794:12	763:22 764:6	828:7 833:7
859:3 869:21	747:13,18	Barnes 549:21	764:12,17	840:18 848:7
869:23	749:19 750:9	553:23	768:19	865:3,14
885:22 886:4	751:1 752:5	556:12,20,23	769:17,22,24	868:9 870:5
895:2	757:25	575:6,12,14	770:2 781:12	872:20 881:1
awful 831:2	758:19,22	575:18,24,24	781:24 783:5	881:8 883:19
AW-2011-0330	775:17 776:5	577:3,12	783:6,16	883:25 896:7
823:22 894:2	776:8 785:22	578:18	786:2,9,15	897:10
897:12	806:25	580:15,17	794:20,23	899:19
899:19	828:21 829:7	600:17	795:22	910:12,13,20
a.m 547:2	830:8 842:10	602:15	796:12 797:4	912:10
	842:19	618:17 625:3	800:2,6,8,12	basic 705:3
B	850:11 854:7	625:7 654:20	800:14,15,16	basically 669:9
B 544:6 545:20	856:8 863:19	654:24	800:17	824:19
760:20	867:5 871:21	656:11 660:3	801:17	893:23
back 547:4	873:23	665:4 671:21	802:15 803:1	basing 908:9
560:13,15	877:17	675:12 690:3	803:6 805:10	basis 568:18
565:9 566:5	881:12 912:1	702:3 703:24	854:21 866:4	570:7 582:8
567:13 587:4	913:8,10	706:4 709:4	based 579:2	590:7 617:16
587:7 589:3	backed 731:12	712:13	594:19	630:21,22
595:12	background	732:20 741:7	596:25	631:11,14
603:21 611:2	569:21	742:23 751:1	603:15	634:9 640:2
615:19	backing 695:17	753:19	613:15	641:16 645:8
635:14	backup 750:21	754:25	636:13	647:1 649:2
644:14	backward	758:24	642:24 643:4	650:7,7 651:3
649:22	692:25	759:18 795:3	650:12	671:2 672:24

673:8,23,24	672:7,16,25	885:15	696:14	belongs 904:8
677:15 678:1	673:16,22	behaving	698:19	bench 611:10
679:6,9,10,16	675:12 676:4	650:12	700:12 709:5	616:9 654:17
679:18,20	676:11	behavior	713:3,15	654:21 657:1
684:24	677:12 680:9	591:22	714:2 723:20	666:25 667:5
690:22 691:5	692:16 693:4	598:10	726:18,20	684:10 688:3
691:5,13	695:4,11	624:20	728:16	721:2 734:25
695:17	698:9 701:16	belabor 692:11	729:21 731:8	741:24 761:7
699:15,20	701:22 705:7	709:17	734:5,7	772:21 774:8
700:14,18	706:8,15,24	belie 631:13	746:21	789:2 790:16
703:15	706:25 707:1	belief 576:20	759:23	798:3 806:6
706:15 716:4	707:5,18	617:17 737:9	769:12	834:4 867:13
719:24,24,24	713:12	771:21 788:3	771:10	870:5 911:25
719:25	714:21	815:3 829:3	774:21,24	benchmark
724:12 730:8	715:20	829:22 875:8	786:17	752:21
730:11 732:8	722:14	895:13	798:23	766:12
741:17	723:16,23	beliefs 895:12	799:25	beneficial
742:14	726:8,21,21	belies 692:4	806:18	763:8,9,9
746:21 747:4	729:17	believe 547:16	816:22 817:4	765:3 877:7
747:25 748:4	730:20	554:24	817:5 823:21	benefit 553:3
748:22 750:8	bear 605:25	556:14	823:24 824:8	555:7 584:17
751:16	746:7 829:23	564:21	832:25	585:16
754:17	832:11	579:12,13	835:25	586:14
762:15 763:4	848:22	581:9,9	839:18	592:25 621:6
763:5,7	beat 762:12	585:24 587:6	841:11	687:14
765:25 766:8	began 547:2	590:5 597:19	847:20 850:3	747:14 778:6
766:21 792:9	beginning	604:14	857:12	778:8,11
793:17 818:8	551:12	605:14	858:11 859:6	780:1,15,25
825:19 826:1	579:22 589:8	611:17	870:25	781:19
826:7 827:2	654:21	613:12,21	876:18	782:18,20,22
856:5 863:15	681:25	615:2 616:17	877:17 879:8	785:10
864:9 866:4	712:11	618:20	880:24 882:4	790:21,22
867:2 877:8	748:15 761:7	619:13 624:6	886:24 887:3	791:6,7,11,18
basket 570:19	767:25 774:8	627:1 635:20	892:21 893:1	792:5,6 811:5
Baxter 552:7	776:10 798:4	637:11,21	894:22	811:25 812:8
569:18	798:12 807:4	641:18 643:7	897:23	812:10 817:9
613:18 637:7	840:7 870:5	645:6 650:14	902:16,17	820:14,14
642:16	875:22	650:20 652:5	904:3 907:2	830:3,7,16,22
651:22	884:18	656:25	908:16 913:9	830:23,24
658:17 705:4	899:16	658:15 660:1	believed 597:19	831:15
713:6,12,25	begins 577:10	665:13	believes 591:8	832:21,23
729:8	577:25	667:25	759:3 783:6	833:9 834:17
Baxter's	777:24	668:19	841:4	837:4,8 849:6
551:11 634:5	behalf 610:23	671:15 672:1	believing	849:8 867:18
634:6 643:7	831:22	672:2 680:6	822:14	871:23 872:4
646:3 658:20	835:20,20	680:13	belong 777:16	872:7,8,9,13
671:7,13,22	877:20	683:13 696:3	778:20	872:14

benefited 831:8	676:9,15	BLUME	box 544:3,7,11	broader 562:8
benefiting	678:24	544:15	544:16 546:2	582:10 632:9
585:9 612:7	766:17	boat 774:4	546:9 552:9	634:14
681:9	828:19	body 697:22	552:10	645:12
benefits 620:10	883:17	Bolivar 545:5	622:25	820:22
621:2 687:16	bigger 558:25	bonds 609:12	683:25	821:23
689:9 765:7	560:25	609:13	brand-new	844:20
776:24 777:9	561:18	686:13	614:19	broadly 645:16
777:10,12,15	607:14	779:23	616:25 840:6	Broadway
779:14,16,22	802:18	bonus 785:13	break 654:15	545:2
779:24	biggest 677:14	804:3	654:18,19	broken 572:9
780:11,15	bill 651:5	bonuses 817:15	671:10 716:3	651:20
781:24	820:25 862:8	817:18 833:2	733:13,15	Brosch 573:8
784:14,20	862:15	book 609:25	776:4,6,8	574:22 733:6
812:14,15,16	869:19	612:15 703:7	807:1 843:20	733:14,17,23
831:6 836:24	896:12,16	785:19,23	873:17	733:25,25
836:25 837:1	billing 709:25	804:19	brief 622:10	775:8,16
848:9 877:21	719:23	booked 750:3,3	624:17	776:23 777:7
benefit's	796:16	750:5	772:23 793:6	778:10,14
688:24	812:16,20,21	booking 749:9	806:22	779:20
best 566:5,9	817:6 820:13	books 696:23	833:23	781:15
576:20	842:17,25,25	703:9 752:22	briefed 622:2	783:24 784:4
637:21	843:14,15	bootstrapping	briefs 862:7	786:14
710:14	862:5	894:13	bring 560:3	789:17,17,20
725:14	billings 861:2,4	borderline	582:11 608:7	789:22
730:15 737:8	bills 826:11	819:15	681:10	798:11
771:21 788:2	855:17	borders 743:19	707:21	803:15
857:14 867:3	862:20,23	borne 812:9,10	749:12	914:19
867:4 875:7	bit 552:9,10	829:14,14	765:23	915:19
better 586:11	599:1 611:21	849:7,8	775:16	Brosch's
617:19 658:9	622:13	borrow 611:23	796:13 797:6	780:21
767:24 845:2	627:15,16	borrowed	813:8 828:3	781:15,16
853:25 854:3	632:18	777:5,15	828:21 829:6	brought 563:1
beyond 855:1	669:19	778:24 779:7	841:23 851:8	685:8 825:22
863:8 866:10	680:24 685:9	borrowing	894:14	827:13 828:3
888:11	712:4 743:7	611:20	bringing	834:23
big 549:19,20	830:20	612:12	559:11	839:22
551:22	893:12	bother 906:19	819:24	866:18
552:19,21	bleeding	bottom 583:7	868:11	Brubaker
563:10,10	550:22	590:13 652:6	brings 563:1	809:22
567:2 568:15	blend 599:8	652:6 698:13	695:24 796:8	Bryan 545:1,5
570:8 607:14	blindly 569:24	698:17 794:5	796:14 830:8	809:19 815:3
624:12	blue 547:21	861:1 907:17	830:24	Brydon 544:10
640:17	548:16	Boulevard	broad 562:25	budget 814:17
643:23	602:19 603:1	545:17	843:10	815:1,12
652:10,21,25	603:9 758:18	boundaries	844:12	821:1 837:16
659:16 676:7	795:7	616:12	857:15	845:17

856:23,25	685:15,16	703:4,19,22	846:22 860:2	803:6
861:18	697:4 699:16	704:10,16,20	860:3,21	call 606:5
budgets 820:18	756:10	704:23,25	867:16 914:3	631:18
build 614:25	757:11,11,17	705:16,25	914:7,12,16	635:13
781:4 863:23	773:3,10	708:24 709:9	915:3,6,13,17	637:18 744:2
866:9	778:18 796:8	714:4 716:14	915:21,24	827:25 873:1
building	797:1,1	716:17	917:9	873:5,7,17
544:16 559:3	812:17,22,23	723:23	Byrne's 622:16	Callaway
559:10	817:11,12	725:22 728:2	C	552:14
560:17 797:2	823:4 832:13	730:19	C 545:12 547:1	751:14
801:20	856:17	732:19	760:20 919:2	761:14
812:14 817:7	857:13,20	734:23	919:2	called 607:7
build-out	858:2 863:21	738:11,12	calculate	637:8 732:10
559:13,20	863:21	741:21	668:12 720:5	calling 631:20
built 593:16	busy 836:12	746:13 747:8	854:24 864:2	calls 596:11
710:16 865:3	buy 609:24	765:4,12,13	912:12	818:5
bullet 718:11	651:17,17	768:8 772:19	calculated	camera 747:9
bunch 552:21	779:23 872:3	774:13	549:21 633:5	747:12
558:7 765:21	buying 610:4	775:23	634:3 656:1	candid 822:10
bundle 570:5	byproduct	776:12	691:11 704:3	cap 689:17
bundling 570:2	792:3	782:10	713:22,25	885:7
burden 744:21	Byrne 544:2	783:13 784:8	714:1 720:10	capacity
836:7 840:17	547:10	787:9 788:9	827:19,25	575:21 771:1
841:13,23,24	555:25 556:5	790:15 798:9	833:6	capital 547:20
842:20	556:11,17	798:10	calculates	547:25 548:2
843:20 844:6	557:6 558:4,6	803:15,20	668:14	548:10,21,22
849:1	558:14 564:3	806:4 807:6	calculating	549:2 551:14
burdened	566:3 569:11	812:1,11	569:14	552:13
786:3,10	571:22 575:9	813:4,11,14	912:24	553:16 554:9
burdens	575:13 577:1	813:19,24	calculation	554:14
784:15	578:6,12	814:4,12,15	694:3 713:4,7	555:17,23
business	579:5,14	814:19,21,25	713:11,18	556:2 568:5
549:17	580:25	815:3,9,13,18	720:11	584:9 592:22
559:22 563:8	596:11	816:9 817:4	738:16	601:11
565:16 566:1	601:24 602:3	817:17 818:7	749:12,12,13	620:15
567:22	602:8 616:1	818:12,21	750:22	623:24
568:17	622:24 623:3	819:10,17,23	759:16 763:6	624:13
570:24 571:8	623:11,13	821:3,13	773:4 793:19	650:18 651:1
575:22	645:8 659:1	822:18 823:2	877:22	651:8 652:24
583:22 592:6	660:1 666:24	823:12,20,23	900:24	653:6,13
625:22 626:8	675:8,11	824:2,7,13,17	910:16	670:14
626:17,19	676:22 690:3	824:22,25	calculations	686:25
635:4,4,16,23	690:19	825:3,6	709:10 720:2	689:18 699:1
636:7 648:4	692:13 696:8	828:15	741:15	717:22 755:2
650:17	696:12	829:10	750:19 766:2	794:11,12
655:23	701:20,25	836:18	774:1 786:12	804:14 805:8
659:19	702:5,8,21,24	837:21		811:2 836:11

HEARING 10/1/2012

872:9	594:13	771:5 775:21	837:13,15,18	880:21,25
capitalization	597:18	781:11,24	837:24	881:2,17
797:17	599:18	782:9 783:7	838:18,24	882:6,14,15
804:21	602:24 604:2	783:12,14	839:4,8 840:3	882:16,19,19
capitalize	604:11 605:2	787:17	840:4,4,7	882:20,24
589:18	605:6,10,21	795:20	843:23 844:3	883:3,7,14,19
capitalized	607:6,7,11,12	796:13,15	844:3,25	883:19,20,25
785:19 804:6	607:22,25	797:7 801:12	845:3,3,8,14	883:25 884:1
804:20	610:7 612:16	801:25 802:7	846:4,19,20	884:10 885:1
Capitol 544:11	612:22 613:2	802:23,24,24	847:14,19,20	885:8,14
caption 919:9	613:5,7,10	802:24	848:5,16	886:10
capture 583:19	615:14 617:4	806:20,23	849:2,3,15,21	888:20,24
584:2 764:20	618:1 619:19	807:3,8,9,10	850:9,18	889:12,18,19
care 890:21	619:24	807:12,13,16	851:5,10,12	890:11 891:4
carefully 574:8	621:21	807:18,18	851:16,18,23	894:14
Carolina 557:8	623:17 624:9	808:6,6 809:4	851:23 852:9	895:11 896:3
557:13	624:10,13,17	809:7,11,12	852:17,21,22	896:4,6,8,19
carries 577:11	624:21 627:5	809:15,16,20	852:23 853:7	896:22 897:6
577:25	640:12 646:3	809:22,24	853:13,21	897:14,21
carry 841:24	648:19,23	810:19,22	854:4 855:9	898:1 899:20
carrying 583:7	649:1,4 650:8	811:9,12,18	855:11,12,13	899:23 900:2
611:19	651:9 652:25	811:18	855:17,20	900:21,22
612:13 681:6	655:9,14	812:20	856:4,7,12,21	901:12,21,22
758:7	658:4,6,14	813:13,21	856:25 857:1	902:2,3 903:4
carved 583:24	659:20,25	814:10,14,18	857:3,23	903:5 905:24
case 547:4,13	669:25 670:4	815:10,21	858:5,9,10	906:5 907:7
548:3 549:3	677:21	816:4,20,21	859:1 860:7	907:20,24
549:22,23	681:17,21	816:22,25	860:24	908:2,3,8,17
550:21 551:1	682:10 686:3	818:6 820:5	861:11,14,18	908:24 909:5
551:2,2	688:10 693:9	820:20 821:4	862:1,8 863:2	909:11,13,16
553:10,14	693:25 695:9	821:10,16	863:16,17,17	909:23 910:3
555:2,8,14	695:20	822:11 823:1	863:18 864:1	910:7,12,19
557:9,9,12,14	712:24	823:7,7,19,25	864:17,21,25	910:21,24
557:15	716:20	824:10,12	865:4,6	912:10,19,22
562:17,17,17	717:17,17	825:18,21,24	866:22,24	913:1 915:23
566:16	722:10	826:8,10,12	867:1,3,7,17	917:18
569:14	723:25 741:5	826:19 827:4	868:23 869:3	cases 553:2
572:22	743:11	828:2,8,16,17	869:14	555:17
575:25	744:13,17,18	829:19,24,25	870:16,17,21	570:17
577:21 578:9	758:5,12,13	830:9,13,24	871:10,16,22	573:19 578:7
578:16 579:6	758:16	831:3,4,5	876:5,8,12,16	583:3,20
579:7,10	762:25	832:12 834:1	876:21 877:4	588:18 589:1
580:21	763:21	834:3,3,6,11	877:6,9,18,19	590:4,6 596:7
583:10 584:3	764:20 767:7	834:23 835:3	878:8,22,25	596:17,25
587:19 589:4	767:20	835:9,11,12	879:4,18,20	597:4,16
592:7,10	768:18 769:4	835:22,25	879:22 880:3	598:3 603:4
593:17	770:3,16	836:20	880:10,15,17	610:23 611:1

620:3,23	607:24 608:4	central 828:5	670:21	590:23 591:1
621:8 623:5,8	611:24	cents 668:15	687:25 708:5	612:25
623:11,22,25	682:22,24	century 551:17	708:7 712:14	617:24,25
624:23 646:7	719:7 805:1	certain 643:17	725:23	624:20 631:2
651:12 658:8	817:8	643:18 644:8	741:24,25	650:6 685:9
658:12	Cassidy 735:14	646:8,25	742:16	685:18,21
659:15	735:19,22	700:20 736:5	757:23,24	749:4 750:8
680:15 682:6	736:1,4	752:13 819:6	761:4 773:21	762:13,18
684:9 711:19	738:13 745:3	822:12	773:22,24	784:1 794:1
722:17	770:12	826:15	774:6 786:20	794:20
766:24 767:3	805:19,19,21	842:11 860:9	787:3 789:2,3	800:23
786:16	806:17 915:2	874:21 880:2	790:17,18,20	805:10
794:10	917:21,24	880:8 882:5	792:18	853:17 873:7
799:22 802:9	918:2,4	certainly 562:6	798:11 806:6	changed
807:23 808:3	Cassidy's	564:9 566:11	806:7 811:22	551:23 559:9
809:14	627:21	587:1 600:15	812:2,12	559:9 562:9
816:12,15	665:11 746:4	623:19 624:3	819:1,11,22	563:6,8
817:11 819:7	casual 835:15	624:24	820:2 821:6	587:18 645:9
820:24 826:4	catastrophic	631:12 636:1	821:22	704:4 796:16
827:17	700:19	636:9 658:9	822:23 823:8	851:8
834:22 840:5	categories	687:2 700:4	823:15 838:8	changes 548:18
840:8,11	876:17 905:7	730:13 816:2	838:12	573:19,21
846:12	categorize	827:6 831:13	839:13 840:9	669:10
848:10,11,13	876:16	839:2 842:3	840:25	694:11
848:24	categorized	847:2 888:10	841:15 842:6	717:22
849:18	876:19	888:15 891:8	842:22,24	775:21
852:25	categorizethis	certainty	843:17,25	793:23 796:1
853:18,25	903:14	866:24	844:9 846:9	796:2 797:7
854:8 855:3	category	Certified 919:5	848:19	800:8,11,11
868:10	841:20,21	certify 919:7	860:11	802:21 804:4
871:10,16	896:8	cessation	867:13,14,21	805:12
876:25	cause 632:15	797:17	871:21	changing
877:16	648:14 736:4	chairman	911:18,19	566:18
882:14,21,22	803:11	543:19	914:8,10	619:20
883:1,7,9	849:17 919:8	556:22 558:2	915:3,5,10,20	character
897:3,5,15,22	caused 575:25	558:5,10,19	916:4	852:15
899:23	771:5 787:17	561:23 562:1	challenge 839:3	characteristics
903:17 907:8	874:21	562:7 563:4	chance 551:5	688:9
908:25 909:6	caution 826:20	563:18	671:9 830:25	characterize
909:25 910:9	Cave 545:1,5	565:11 569:7	843:5	631:6 658:17
910:19	809:19 815:4	569:17,25	change 554:20	816:1
case-related	CCR 543:24	571:2,12	559:25 563:9	characterized
879:6	919:17	575:3 594:24	564:23	682:13
cash 559:19	center 545:21	611:10,11,12	565:13,14	768:14
560:17,23	653:10	618:12	566:19 569:1	804:13
561:21	913:10	619:13 637:2	569:11,13	charge 716:24
593:14,14	centered 794:4	654:13	571:21	717:14

728:17 781:6	740:11	choice 841:6	545:9 546:3	586:3 643:12
827:4 833:2	754:24 917:9	868:18	546:10	644:6 645:20
861:13,14,17	917:11	choose 635:21	552:15	655:8 676:3
885:22,25	Chartered	755:13	807:25 808:5	730:4 858:14
charged 600:21	787:15	841:25	810:7 815:22	872:6
678:16	charts 550:6	868:13	879:7 919:14	closed 557:25
732:18	634:7 641:11	chooses 778:17	Civil 827:14	558:1,7
759:15 805:2	643:7 644:4	780:18	claim 572:1	closely 572:5
810:20	644:13,16	801:12	747:6 778:22	757:6
817:18	671:21	chose 599:6	780:11,15	closer 550:5
832:22,23	672:16,25	841:23	839:7	595:10
833:6 837:2	673:16	chosen 782:16	claiming	635:19
charges 758:8	676:24	817:19	747:17	679:13 719:4
815:4 832:13	692:18 698:9	Chouteau	claims 572:8	825:13 882:7
charging 810:8	702:13,14	544:3	834:7	Club 545:24
834:5	703:1 704:14	Christmas	clarification	code 593:10
chart 547:18	704:15	711:1	601:16	855:16
547:21	705:19 706:7	chronic 550:16	clarify 774:16	COFFMAN
550:14	706:7,15	552:24 566:4	774:21	545:16
601:17 607:5	707:18	566:9,11	786:24 821:7	cog 828:19
611:16 634:4	708:10	619:4 630:15	840:22 902:8	cogently
642:16	709:10	631:14,15,18	clarifying	697:12
643:11 644:7	713:14,15	631:20,23	603:15	cold 644:12
646:3 671:12	714:2,3,20	644:23	classification	646:17
672:7 673:22	715:1,3	656:14,17	747:4 903:18	Cole 919:4,15
674:3,4	722:14	691:23,25	classified 747:2	colleague
675:14 676:1	723:16,21,22	692:5	747:7 901:14	733:10
681:2 691:16	726:8	chronically	905:14	colleagues
692:16 693:4	chased 884:21	630:12	classify 746:22	848:1
695:4,11	Chavalier	711:19 712:2	clause 728:14	collect 614:19
696:7,9,24	787:15	712:3 748:2	728:22	668:10,21
701:15,18,20	cheat 701:5	767:17	clear 579:19,22	669:7,15
703:12,20	718:7,10	churning	608:15	869:9
704:9,12,18	check 594:15	559:22	625:15 641:3	collected 595:8
705:3,7,19,22	599:11 600:6	circumstance	713:17 749:5	595:18 668:2
705:23,25	678:24 679:1	619:5 843:12	760:6 763:25	805:3 891:1
706:11,24,25	729:13	circumstances	820:4 888:22	collection
707:1,5,19,25	741:15	618:22 620:6	clearer 601:22	669:17
708:8,25	896:16 900:7	620:14 622:3	clearly 613:16	collects 805:5
709:13 715:9	900:25 901:4	758:20	686:18 697:7	Color 917:9
715:14,16,19	906:4	citations	719:1 793:13	colorful 607:5
716:9,16	checks 683:4	848:11,15	844:2 889:1	Columbia
719:21,22	Chicago 810:5	cite 626:2	client 843:6,7,8	544:8 873:4
720:6 723:12	813:8	cited 557:8,9	clients 842:25	columns
723:14	chief 543:17	City 543:9	843:1,5	902:17
729:17,23	546:6 771:2	544:12,17,22	climb 670:9	combination
730:6,7,9	860:11	544:24 545:6	close 565:19	556:13

HEARING 10/1/2012

come 550:16	846:9	790:4 793:8	705:13,17	828:23 829:1
551:9 559:5	commission	804:7 807:7	706:3,9,18	829:4,8,9,12
560:3 581:15	543:2 546:8	808:7 811:23	708:3 709:14	829:18 830:1
586:25	546:12	819:25 821:7	709:15,16	830:5 831:18
603:11 611:9	547:10 549:5	821:19	712:8 718:2,7	831:24 832:5
615:14 623:5	552:12	822:20	727:6,9,12,15	832:20 833:1
623:17	554:16	823:18,18	727:19,23	833:16,25
643:12	555:13 556:6	825:10	728:1 730:17	846:7,8,16,22
654:16	558:23 560:7	828:11	735:1 742:18	847:2,7,10,12
681:16 684:8	562:2 563:4,9	833:23,23	742:19	847:22,24,25
692:18	563:24	834:21	744:24 745:1	848:14,18
704:19	571:18	836:22	745:2,25	849:11,20
719:20	574:21,24	837:11	746:3,6,8,16	850:1,2
733:13	578:7 580:18	838:16 839:5	746:25	851:14
734:24 753:1	580:23	839:7,9	747:18,20	867:23,24
755:13	581:10	848:13	757:19,21,22	868:1,2,4
760:21 776:5	582:24	851:22	758:2 763:13	869:24 870:1
779:14 789:1	589:22 591:8	862:10 864:8	765:14 768:2	870:2 871:18
790:16	591:10,19	867:16 885:6	769:12	871:20
806:25	593:22 594:5	886:18	772:21,22	872:17
821:24	594:9 596:8	888:19 889:3	773:14,15,16	873:19
826:11	596:21 597:5	893:24 894:2	773:18,19	911:16,20,23
842:15 852:3	597:10,12,15	895:13	774:16	914:9,9,13,13
856:24 857:2	598:1,5,15,24	Commissioner	775:14,18,25	914:14 915:4
857:8 867:12	599:3,17	555:21 556:3	783:10,11,23	915:4,10,20
888:14	608:23 609:6	556:9,15,19	789:4,5,7,8,9	916:5,6
891:15	615:13,14	567:24 569:3	789:10	Commissione...
913:10	618:2 620:19	569:16	792:20,21,23	543:21
comes 698:19	629:2,6	570:22	792:24 798:1	617:12
721:10	637:20 655:9	618:14,15,16	798:24 806:8	658:15 666:7
852:19	670:3 680:20	621:15	806:9,10,11	667:21
862:10 865:2	681:4,11	623:14 625:4	806:13,15	682:12 685:6
890:16	684:12,16	625:5,6	812:4,5,25	687:5 705:18
comfortable	685:19	627:25 628:3	813:6,12,15	708:15
700:24	697:25 698:1	628:15	813:20 814:1	709:18
coming 559:7	713:6 714:5	636:24,25	814:8,13,16	712:10 728:8
566:2 606:14	714:15,17	644:19	814:20,23	735:5 775:9
623:7 629:13	721:20,23	657:22 665:4	815:2,5,11,15	799:24
697:14	724:10	670:18	815:25	884:22
757:25 763:2	728:19	687:25	816:24	911:14
840:6	734:10 736:3	688:15 690:6	817:14,24	917:11
commencem...	740:3 752:8	690:11	818:8,18,24	commissions
797:18	752:10 764:9	696:15 701:6	823:16,17,21	594:3 885:11
commensurate	765:5 775:10	701:8,10,23	823:24 824:3	885:23 887:9
562:4 566:1	776:13 781:2	702:6,20,23	824:8,14,18	891:11
742:5	782:7 783:22	703:16,20,23	824:23 825:1	Commission's
comments	784:24 785:6	704:17,21,24	825:5 828:14	652:15

677:19	598:11 599:3	808:6,18	807:14,15	548:10,22
702:16 715:6	599:15,24	809:5 810:21	825:23 843:5	compensates
725:25	604:1 605:25	815:23 819:8	876:11	573:12
746:22 747:5	608:12	819:8 825:12	878:25	compensation
747:6 748:10	612:10 614:1	825:14,18,22	879:18	751:10
890:17,18	614:4 623:19	826:3,13	883:13 910:2	761:11
903:18	624:20	834:7 835:4	912:13	791:23 833:2
commit 623:19	625:17	835:16,20,21	comparability	833:5,10,10
658:13	627:12,14	836:2,3,4,8,8	637:19	837:5,7 848:7
committed	630:11	836:9,10	comparable	868:6,9
548:23	634:10 635:7	837:20,22,23	653:4 672:6	competent
common	644:5 645:17	838:4 841:3	706:1,12	629:8
629:24 630:5	650:12	843:13 844:7	730:14,22	competently
791:3	657:23 658:4	845:5 856:16	853:20,22	697:12
communicate	658:24 659:3	857:5 858:8	898:2	competing
857:15	659:5,19	858:23 866:6	compare 640:8	760:24
compact 812:7	665:24	876:15 877:4	640:20 643:5	compiled
companies	672:16	879:1,6	693:20 706:6	665:23 748:9
565:5 570:18	677:23	880:20,24	707:19 725:9	compiles
592:24 594:1	678:18 679:7	881:2,10	905:7 907:14	905:18
594:10 623:7	680:19 682:4	882:5 883:14	907:16 908:6	complains
626:14 641:7	684:13	889:19	908:11,15	758:10
764:2 778:8	701:15	896:19	909:12,18	complaint
901:6 904:9	711:13	company's	compared	560:14 589:4
company	732:14 740:7	548:15 553:6	557:4 626:13	766:4,9,21
543:12	740:18 741:5	553:9 572:25	627:8,10	767:16
544:14,24,25	743:13,17	573:4 588:17	651:14 652:4	complaints
548:10,13,20	749:8 751:9	594:13 598:9	684:23 686:6	560:8 753:14
548:25 549:2	752:15 753:8	608:5 614:9	689:6 724:7	complete 592:5
549:6 552:16	753:13,22,25	619:3,9 626:8	799:14 897:5	604:7 796:2
553:3 555:15	755:1,11,13	626:16	901:5 910:19	897:15,21
557:2 559:1	759:11	647:25	compares	899:23
559:13,14,15	760:18 762:5	650:13	643:21	completed
559:23,23	763:3,20	656:12 657:9	comparison	781:11
560:1,16,17	764:4,12,16	738:16 739:5	637:22	795:25
560:17,21,24	764:20	740:17 741:9	643:12	796:11 800:8
561:1,5,14,19	766:15,18,21	741:13	684:24	801:16,23
562:21,21,23	766:24 767:2	743:24 746:2	698:21	802:20 829:1
563:8 564:10	767:5 769:3	752:19	706:22 906:7	862:5,9
564:17,23	774:2 791:13	764:22,23	906:9,9	completely
565:13,15,18	791:14,19	766:25	907:12	574:19
565:24 566:1	798:21	773:11	908:22,23	778:13
566:7,18	799:21 800:2	776:16	909:4,10	808:15 884:3
583:18 588:3	800:23 801:8	793:15	910:8	completes
588:10 589:7	801:12,14	798:25 800:9	compelling	806:18 850:8
589:9 590:2	804:10 805:5	800:20 801:4	838:6	complexity
594:6 597:21	807:12,25	803:22	compensated	808:3

compliance 653:8	775:5 776:2	758:23	considered 553:11 592:4	548:9,16
comply 653:11	conclusion 579:1 596:12	confusing 776:20	593:7 613:9	600:21
component 556:3 628:7	597:1 697:13	confusion 708:14	683:2 709:24	constructing 681:6 755:12
756:23	conclusions 577:15	congressional 804:1	784:22	construction 547:22 548:1
components 704:19	concomitant 569:8	conjunction 810:16	796:12	548:9 552:1
compound 774:17	condition 566:9,10,12	conscious 699:10	798:22	552:11,20
comptroller 627:12	conditioning 551:20	consequence 555:6	889:23	557:15
computers 551:22	conditions 710:22 809:6	consequences 845:23	considering 622:4 714:17	563:25 564:1
concede 588:15	831:9	consequently 606:19	consistent 590:7 631:11	566:21,23,23
811:23	conduct 577:14	conservation 710:17	651:3 683:7	567:3,10,14
854:14	793:19	consider 581:10	695:18	567:15
conceded 564:3	909:23	618:25	701:18 726:6	568:12,19,23
conceivably 638:11,13	910:18	620:13 622:4	832:21 849:5	570:2,11
Concentric 860:4,5,20	conducted 578:3,25	658:13 713:7	889:11	573:11 582:9
896:12	conducting 577:14	714:15	consistently 586:21	582:12 583:1
concept 564:4	confer 830:16	739:23 766:8	588:11 590:5	589:13,19
564:11 567:4	confers 831:14	802:18 820:1	615:17 631:4	601:4 611:20
571:3 582:5,7	confidence 827:8	827:12	631:5 632:4	611:22
582:12	confidential 576:13 628:7	828:11 911:9	694:19,19,22	616:24 669:2
596:18	628:12 660:2	considerably 837:17	826:4 833:4	689:21,23,25
764:25 770:4	660:3 746:23	consideration 580:22	consists 683:17	740:8 741:1,2
concepts 878:11	747:10,17	611:19	consolidated 791:2	755:1 776:18
conceptually 680:25	807:22	622:25	constant 792:15	781:1,3,10,14
concern 598:8	826:21	624:25 632:2	794:24	781:18,20
647:24 648:6	841:10,16,19	633:8 655:7,9	799:19 800:2	782:12,25
715:5,6	859:18,19	658:23,25	constantly 561:6 648:13	785:11,19
775:20	901:15	659:7,9 686:7	797:1	795:6,24,25
845:21	902:18,19	752:17	consternation 745:13	796:3,25
concerned 735:4 835:18	903:14,16,19	755:16 770:3	constitutes 891:1	801:16
concerning 910:1	903:24 904:2	801:4,17	constrained 845:10,11	802:20 804:9
concerns 686:16,20	904:4 905:5	818:17	constraints 683:1 719:8	805:9
conclude 590:21	905:13 918:4	851:21	construct 548:21	constructive 651:13,16
concludes	confines 592:6	considerations 626:13 658:7	constructed 711:23 781:7	652:3 684:21
	confused 637:4	791:9,24		844:4,7
	642:13			consultant 834:18
	701:13 715:6			906:23
				consultants 808:12
				809:10 836:4
				862:3 879:13
				896:21
				905:19
				906:17,25

909:15,20	756:19	688:17,21,22	779:1,6,23	665:12 667:6
910:1 911:6	786:14	764:24 769:4	780:2,3,17,18	667:13,18,22
consulting	791:14,19	834:25	782:15,19	668:4,23
809:21 860:6	798:14	835:15	784:17 785:1	669:17 670:1
879:4	801:19 841:8	controllable	785:2 790:21	670:2,8
consumer	895:23	603:25	790:22 791:1	671:14 672:1
847:4 849:22	910:22	controller	798:14	672:5,8,11,21
Consumers	continues	549:20	804:25	673:23 674:9
545:7,11,19	586:19	575:23	808:18	674:23 676:8
contain 803:9	continuing	856:18,19	811:25	691:2,3,24
contained	550:23	controlling	868:10	693:19 694:1
576:19,23	798:22	811:18 835:1	Corporation's	697:20
660:12 737:7	continuously	856:20	777:13	698:16 699:3
748:8,18	752:16	controls 552:3	778:22 779:9	699:8 703:18
771:12,17	796:25	554:2	779:12,15,17	704:16
788:1,6	continuum	conversation	798:18	712:22
850:18 875:8	632:3	619:13	correct 571:4	715:17
887:22	contract	712:14	576:19 578:4	716:22 717:3
contains	678:16	742:22	580:3 581:23	718:4 720:6
902:16,17	732:15	839:25	581:24,25	721:12,13
contemplate	810:15	846:21	583:16	722:8,13
686:5	842:12	conversations	584:15	725:8,17,25
contemplated	Contracting	822:10	586:13,15,16	728:23 729:9
599:22 673:6	811:3	conversely	590:9,18	729:10 731:3
685:25	contracts	598:5	591:2,3 592:9	731:4,15
693:14 694:8	808:21	convince	592:12,13	732:11
695:25 732:5	contrary 572:8	570:20	593:9,12,19	735:13
contend 908:1	573:7 836:5	834:14	594:7,22	736:16,25
contents	891:3	cooler 711:7	597:24 598:2	737:8 739:16
628:23 629:9	contrast 574:10	coordinate	598:7,25	740:13
634:16,22	contributed	856:23	600:22 605:7	745:23,24
635:2	631:8 736:13	861:19	605:8,24	746:5 748:23
context 626:9	835:7	copy 602:2	607:8,16,22	748:24 751:3
684:21 698:7	contributing	627:19 655:4	607:23 608:1	752:9 755:6
851:4	649:15 796:5	655:5 671:6	608:9,19	756:8,9 758:8
continual	contributions	696:9 726:24	609:20 613:2	758:21 760:9
801:19	874:21	745:15	613:3 616:17	760:22
continually	contributor	884:12	619:6,11	762:15,20
642:13	550:7 613:17	corporate	620:3,11,12	764:13,17,18
711:19	613:19,22	784:21	622:4 626:3	765:18 767:9
continue 556:1	contributors	808:23	628:14,19	769:25 770:9
561:8 562:10	737:14	corporation	629:15 630:9	771:20 788:2
645:20	control 554:8	609:9,22	633:18 634:1	790:2,6,22
650:14,15	574:8 604:9	776:25 777:3	635:25 636:6	795:17
654:16 670:3	621:4 657:10	777:16,19,20	641:1,5 642:5	798:20 800:3
670:9 741:2	657:13,16	778:3,4,5,7	643:19 656:5	801:13
752:17 755:8	681:16	778:12,17	657:4,7	813:18

HEARING 10/1/2012

814:15 815:7	576:6,16	817:20,21	646:23,24	913:10
818:7 847:5	737:1 771:13	825:17,24	653:1 678:15	Council 545:19
850:20 853:8	787:23 875:1	826:4,12	678:18,21	545:23
855:10 859:7	correctly	832:12	681:6 687:7	counsel 546:1,1
875:9 876:6,9	637:11 897:7	835:15	687:10,11	546:4,6,6,7,7
876:10,22,23	898:9	836:11 837:2	688:20	546:8 563:22
878:15,19	correctness	852:4,12,13	738:16 739:2	563:25 569:6
879:11	629:16	852:16	739:5 740:2	580:12
880:19,22	correlate 609:1	853:22 854:4	741:6 751:17	617:18 656:8
881:18,21,22	correlates	856:20	755:24 756:1	715:11
881:25	635:20	857:13,20	761:20	734:10,18
882:25 883:4	correlation	858:1,5,12,14	769:24 782:1	738:8 762:10
883:5,8,10,16	599:8 614:1,9	861:11 862:1	784:10	770:15 771:3
885:16,17	621:9	863:20,21	785:18	775:20
886:2,6,11,18	correspond	864:2,22	786:11	783:17
886:21 887:2	794:1	865:2,4,10	796:19 797:8	786:21
892:20,23,25	corresponding	866:1,16	797:23	788:22
893:18,20,24	593:1 757:8	868:22	801:13 804:6	790:10 798:4
893:25 894:3	cost 548:2,2,4	869:22	804:13	806:1 821:2
896:10 897:8	548:10,22	874:22	808:11,13	825:13,15
897:12,13,16	549:2,13,18	877:22 880:4	811:7,12,14	833:20 836:1
898:25 899:1	553:13,17	880:10	811:16,20	836:20 839:3
899:4,20,21	554:9,14	881:19	812:8,19,20	845:6,13,15
899:24 900:4	555:16,23	890:13 897:1	814:6 816:7,8	848:3 850:4
900:5,8,9,13	556:2 568:5	897:9 899:17	816:13,22,23	850:25 860:1
900:14	570:24 586:7	906:19	817:13	870:6 875:23
901:12,18	605:25 606:7	costs 549:10,14	819:13	879:4 890:17
902:25 903:1	606:21	549:16 550:3	825:21	890:18,25
903:6 904:25	612:12,13,14	551:14 552:6	826:10	Counsel's
905:3 906:5	619:18	553:24 554:4	834:25 835:1	808:10
906:18,21	624:25	554:8,18	835:17	844:23 859:4
908:5 909:13	625:25	555:8 567:21	836:19 842:8	count 702:17
909:17,21	648:13 653:1	573:20 574:9	852:10	702:17
910:16,22,23	681:7 683:12	588:12 593:1	853:19 854:9	countervailing
911:3,10	683:16	595:16,21	854:10 858:9	797:12
912:7,8	688:24 689:6	599:7,19	859:7 866:6	country 627:9
919:12	689:12	600:20	867:9 868:20	652:5,7
corrected	719:10	606:12	869:1,4,5,7	680:24
576:18	736:10	611:19,20,23	878:17 879:5	811:11
748:23 749:2	737:13 739:7	612:9 613:4	880:2,8 884:5	813:10 818:5
749:8	751:11	615:5 618:1	884:7 897:4	831:25
correction	755:14 765:9	619:23,25	897:25 898:2	counts 713:12
576:8 665:10	768:25 770:2	620:16,17,19	898:6 900:2,4	County 919:4
666:21 667:5	781:18	620:22 621:6	900:9 901:1,4	919:15
746:4 762:23	797:15 803:1	621:7,22	901:12	couple 561:24
864:13	809:5 811:2,4	624:2,11	905:18	611:11 637:3
corrections	812:23	639:3,10	906:24	699:13

709:11 758:1	credited 781:19	861:10 897:6	778:13,15,19	daily 568:18
761:8 790:18	credits 760:10	900:19	778:20,22	719:25
793:2 798:9	760:11	currently 553:1	779:13,19,22	danger 844:24
819:1 838:8	creditworthi...	555:15	779:25 780:4	845:19
855:22 856:6	635:8	564:14 566:4	780:14,21	data 640:8,9
885:21	crisis 686:15	591:15,25	781:6,17,22	641:8 695:8
902:17	criteria 620:18	604:18 620:9	782:1 786:3,5	721:10,16
911:17	744:15	624:5 645:21	811:10	723:24
course 553:8	cross 580:10	684:23	812:16,21,24	724:17 730:8
554:16 571:8	734:10 790:8	785:18	817:7,18,21	754:8 852:1
605:22	790:9 805:25	804:22	820:14	897:11,11
685:10 695:9	873:9,11,12	882:11	832:15,18	899:19
714:9 722:9	875:22	901:14	834:16	901:19,25
857:1 873:22	cross-examin...	cusps 685:18	836:24	908:20
court 544:16	577:4 580:8	customer	857:15 866:2	912:15
545:9 583:3	580:14	564:19	872:8,15	data's 706:13
596:17,25	600:16	584:17 588:4	878:14	date 549:21,24
597:4 602:2	603:22	588:7,12	customer's	604:4 605:10
848:13	680:10	612:9 621:6	585:9	605:13,15,17
cover 888:9,13	734:17 738:5	621:20	cut 588:12	605:22 682:4
890:16	738:12 772:5	653:23,25	624:21 651:1	712:21
covered 548:16	772:13	685:13	683:18,20	768:17,17
733:2 801:9	788:11,19	778:25	845:17 910:5	802:7,12,12
covering	805:22,24	905:24 907:8	cutoff 603:6	826:15,23,24
633:10	850:23,24	customers	604:4 605:3,9	826:25 861:2
covers 672:10	851:2 859:16	548:23 552:2	758:4	861:4 882:5
cracks 550:4	875:21,24	552:4 553:4	cuts 763:15	896:24
create 571:5	877:11 878:2	554:22 555:4	CWIP 555:1	dated 700:10
573:22 582:5	878:3 896:1	555:6 559:4	558:3 601:3	896:24 899:3
593:14	914:7,8,17	559:10,11,21	618:7 652:13	dates 549:22
626:17	915:3 916:3,4	560:18,18	688:7,8,9	566:5
845:23	916:9,9	565:10	776:18	David 545:8
created 551:22	crutch 565:16	583:22 584:7	785:12,25	610:7,9
564:11	crux 776:22	585:19	786:1,4,4	742:10
574:16 582:2	crying 803:13	588:19 589:3	795:18,19,21	day 547:4
610:15 756:7	CSR 543:24	593:1 595:9	CWIP-related	549:17
844:14	919:17	600:4,24	786:13	567:16
creates 571:4	current 550:24	606:14 612:6	cycle 564:12,25	612:23 648:9
644:23	554:11	612:22	565:3,10,14	652:4 654:2
708:14	558:10 586:3	647:15 648:8	cycles 564:20	672:14
creating 570:3	591:16,24	654:4 657:19	565:3 644:10	681:19
626:2 796:5	603:6 611:18	668:2 681:9	C-a-s-s-i-d-y	690:15,16
credit 554:23	627:4 647:24	682:7 687:7	735:25	714:22
555:10 626:6	685:17 699:5	687:14,15,24		721:11
626:17	699:11,14	699:20 701:1	D	764:10
698:15	753:9 804:15	776:24 777:9	D 543:19 547:1	852:19
711:16	853:23	777:9,12,17	760:20 914:1	883:23 913:6

days 862:23	599:25	784:16,20	800:19	785:10 831:5
day's 725:16	636:12	790:24 791:3	803:24 805:2	867:17 892:3
DC 813:9	650:20	792:2,5,12	805:5,13	department
deal 564:24	651:10	798:12	deferring	544:18
565:15 567:1	652:11,15	804:23	595:19	810:16,17
567:2,2 570:7	658:8,10	deductions	617:25	861:19
570:8 605:21	659:15 683:2	785:20 804:5	619:18,20	departure
616:2 646:20	685:16 693:8	804:16	define 595:12	606:21
659:16 709:7	699:5 708:22	deem 614:14	674:10	683:16
733:3 760:19	776:25 777:2	deemed 594:14	definitely	depend 863:18
838:17	777:10	852:23	649:15	depending
887:24	778:15	deems 609:6	658:12	548:7 594:1
dealing 561:4	780:12,15,17	deep 592:14	679:24	603:3 639:6
562:16	813:16,18	deeply 809:25	682:19	669:5 758:3
dealt 760:7,25	837:11	810:1	687:20	758:20
debt 556:13	848:13	defeated 822:6	definition	760:21
686:13,16	868:21 869:2	defending	581:22 582:3	depends 550:9
687:1,1	decision-mak...	733:8	595:4 600:9	626:23
decade 572:17	658:11	defense 545:23	631:23	631:15
decades 568:21	declassified	839:12,14	definitions	649:18 753:3
December	745:22 746:1	defer 574:18	887:3	758:12 833:6
649:17	901:15,17	613:4,8	degree 604:1	862:13
666:12	declassify	619:25 743:9	710:10	depict 715:15
667:14,15	627:20 746:2	744:7,12,17	773:12	depiction 728:7
decide 592:11	declining	744:17,19	delay 549:9	728:11,12
658:24	910:10,13	804:11,25	delayed 648:8	deposition
685:24	912:17	deferral 570:16	699:5 700:23	733:8,8 881:5
728:25 813:7	decrease	595:1,3 615:5	deliver 813:1	884:10
896:12	626:18	616:21 618:4	813:22	892:22,24
decided 582:11	867:18	683:18	delivered	894:8,25
819:2	910:22	deferrals 555:4	862:15	902:24
deciding 841:7	decreased	555:5 574:16	delivery 719:17	904:22 907:2
decision 599:5	603:3 717:21	593:16	817:2	909:4
618:1 621:4	773:3 911:2,7	785:21	delta 716:5	depositions
623:20	decreases	804:24	demand 647:9	733:1,11
652:17	828:6	deferral-type	685:13	depreciation
677:19	decreasing	682:23	demonstrate	548:14 549:1
699:10 764:9	910:25	deferred	753:12	549:3,25
764:22,23	deduct 691:3	554:23	754:18	556:16,18
777:13	deducted 751:2	570:21	834:24	564:14 568:3
778:23	804:22	573:15,15	demonstrated	573:15
779:15 797:6	deductible	574:15 596:1	572:7 590:6	574:19 585:7
818:9 846:5	785:18	607:21 770:3	demonstrates	586:2 601:12
decisional	deducting	776:18	754:20	606:1 612:3
600:7	690:25	780:25	denied 785:13	612:14 613:8
decisions	deduction	782:25 783:4	868:12	621:17
582:24 597:5	780:7 783:16	785:11	deny 574:24	669:11 682:1

717:23	883:24	577:19	720:18,19	840:4 850:16
744:10	determinations	612:12	722:3,17,18	856:22
756:12,17	752:20	613:19	746:10 753:1	874:14
757:2 768:16	determine	621:13 634:3	754:6 758:1,3	876:16 914:7
785:14	554:18 618:2	671:24	779:25 812:6	914:20 915:2
786:11	729:12 741:5	673:13 676:7	816:14 817:5	915:9,17,19
797:18,19	744:10	676:10,10,23	830:12,13	916:3,8 917:4
804:3	752:11,19	677:14	834:11,16	917:21 918:8
deprived	753:22	682:18	841:15,21	directed 824:9
554:13	755:25	692:17 694:6	844:10,11	directing 824:4
derived 666:10	765:24	695:22,23	849:21 864:1	directly 610:17
779:12	766:12	702:10 705:2	866:16	635:20
852:14	818:14,15	705:4,8,11	876:17 882:2	740:19
describe	822:3 836:24	707:17 716:1	differently	809:13
562:20	852:4,22	720:9 748:25	570:12 571:7	829:20
760:12	870:15 884:5	749:1 769:11	594:1 636:13	858:16
described	896:2,15	769:16,23	680:24 713:5	860:19 872:8
782:10 784:8	900:16	834:20 840:2	773:8 854:6	872:14
896:25	determined	differences	difficult 604:6	Disabilities
describing	711:13	643:24 644:9	621:18 689:5	827:15,16
652:20	819:13	644:15	822:2,24	disadvantage
description	884:25	713:11 716:3	840:13	840:20
584:21	907:23	716:5 732:9	difficulties	disagree
deserve 571:7	determines	743:2,4	684:7 833:21	564:16
deserves	836:25	different	dilemmas	590:16
846:11	907:19	552:11	743:16	596:24 597:7
designated	determining	553:14 556:7	diligent 810:22	610:12,19
745:18,19	714:18 840:9	557:3 558:7	811:17	623:13
designation	851:22	564:22	diligently	750:18
904:2	900:21	566:11	809:20	835:24
designed 567:4	901:10	567:17 568:5	dime 588:20	disagrees
593:8,12,19	detriment	568:20	diminish 554:7	623:11
595:15	682:9	581:16	dire 602:12,14	disallow
611:18	develop 562:6	586:10	893:5,12	554:18
863:15	866:1	587:10	894:8,18,20	599:19
desire 648:13	developing	593:18 599:5	direct 575:13	808:11 839:8
820:23	877:10	602:19 617:9	575:25 576:9	869:22 912:9
despite 640:25	developments	623:1 638:3	581:21 583:6	912:25
detailed 827:23	559:4	639:8 644:5,9	584:20 607:1	disallowance
details 720:2	devotes 781:7	650:17	607:9,15	597:15,17,20
determinants	dialog 829:10	683:25	666:9,16,22	597:22
796:17	DIANA 545:1	686:16,17	671:7 674:19	676:25
determination	Diana.vuylst...	698:21	733:24	677:18 678:2
562:13 638:7	545:3	701:11	735:20 736:6	678:3 693:2
659:8 756:3,5	differ 692:12	705:19	770:21 771:5	702:15,25,25
819:7 821:9	difference	706:14,15	771:8 772:1,3	703:2,8,9,11
822:7 883:18	568:12,15	715:15	787:9 789:21	714:6 723:11

723:11 731:3	discretion	756:18 830:9	892:6 894:7	607:7 624:2
731:6,12,13	816:4 879:13	distinguisa...	895:5,21	681:3 768:14
749:11,15,18	discretionary	817:1 829:19	902:24	Dority 544:20
749:20,22	699:22	distorted 567:7	documentation	544:21
750:10,10	700:21	distributed	750:22 862:7	dotage 564:17
762:19 811:6	discuss 746:11	689:10	887:8 896:23	double 901:3
811:19	748:6	distribution	documents	doubly 734:14
868:15	discussed	718:21	635:5 692:12	doubt 812:22
disallowances	555:1 781:2	District 900:13	800:1 889:25	816:18 836:7
723:14	798:20	divide 827:5	890:1,2,2	Downey 545:4
728:13 729:2	874:23	831:16	doing 556:4	571:17,18
729:18	discussing	881:13	560:4,5	580:10
823:13,14	846:20 886:8	divided 785:2	562:15 563:7	618:20
840:25 841:1	discussion	dividend 777:5	563:8 567:21	627:24 628:2
841:2	691:21	777:14 778:4	568:20	654:23 656:6
disallowed	705:18	778:6,23	570:24 571:9	712:12
594:14	741:10 745:6	779:2,6,9,12	588:13 598:9	715:10 733:5
637:14,25	747:15,22	780:19	615:20	733:22,24
692:25	837:6 851:13	784:19 785:3	616:10 625:9	734:8 735:13
702:18 703:6	851:14,16	790:23	645:25 656:4	738:7 761:8,9
728:21,21	863:19	dividends	682:8 723:5	762:9 772:17
751:10	discussions	784:16,21,22	759:16	774:11 775:7
759:11 814:7	794:3,6	785:1,3 791:3	775:23 809:3	775:20
833:11	disincentive	792:2	817:13	783:21
868:11 877:8	550:25	division 818:5	820:22	786:22
877:10 896:9	552:25	docket 563:16	824:10,11	788:21
896:12	554:15	823:18	836:14	789:21 790:8
disallows	555:14	828:16	838:24 843:7	803:18,19
714:18	591:24	838:13,17,25	844:4,7	805:15,25
disbelieve	635:18	839:5,10	849:12	914:4,10,14
750:23	682:17,20	845:22	854:19	914:20 915:5
disclaimer	699:1 791:19	848:15,16,20	855:14	915:14,19,21
893:7,18	798:13	848:21,23	862:14	downtown
895:10	disparity	849:3 886:3	863:21,21	700:9
disclaims	658:16	document	dollar 549:17	downward
893:23	displacement	627:17	761:17	912:16
discomfort	796:9	628:17,20,24	794:13 885:7	dozens 722:2
834:5	disposing	634:15,22	dollars 572:24	765:22
disconnect	780:13,17	670:20	638:9,13	DR 815:8
692:9	disposition	690:19 692:2	761:15,19	897:20 898:3
discount 689:4	780:2	695:11 746:9	763:2 794:10	898:9,17
689:7 826:5	distinction	747:17 749:2	794:18	899:1,5,15
853:6	695:10	859:20	825:17 826:2	917:17
discounted	837:11	887:15,20	865:3,4,20	dramatically
810:14,18	distinctly	888:10,12,14	868:22 902:6	564:24
discounting	834:16	890:4 891:9	907:4 912:13	588:14 639:5
854:1	distinguish	891:17 892:4	donut 606:6	686:19

draw 579:1	588:11 590:7	777:4,12,15	ebbs 685:11	599:16
drawn 876:5	601:8 606:11	778:16,19,21	856:6	effort 624:24
draws 577:14	609:5 614:11	778:24	echo 846:9	EFIS 634:19
drive 591:22	614:13	779:16 780:1	economic 804:2	749:8
driven 751:12	615:23	780:10,13	economics	eight 631:16
drivers 551:21	637:22,23	earning 613:13	587:10	either 557:12
DRs 826:15	638:14	613:20,21	economist	564:18 570:8
drum 762:12	639:21 644:6	619:4 641:10	811:1	570:11
due 553:24	644:11,24	641:22	economy	579:13
762:18	645:20 646:6	643:12	710:17	598:19,23
774:17 804:1	646:7,24	644:10	Ed 571:18	611:23
duplication	648:21	672:16 680:4	Education	672:15
884:7	650:10	684:7 694:10	827:15	673:24
Dutcher 811:2	656:12	694:16,17,19	EDWARD	686:25
duties 836:10	710:20	694:19 721:7	545:4	693:15
dwell 714:25	755:18	724:1 728:25	effect 549:9	710:15
dynamic	756:12	729:1 752:22	550:2 585:5	731:14 752:2
801:18,21	764:12	753:25	585:11	752:25
D.C 787:15	793:16	766:16 801:5	605:23 607:6	760:25 847:3
d/b/a 543:12	794:11,18	831:1	640:15 658:6	860:15
544:14	797:3 799:22	earnings 550:5	669:24 679:8	866:23 875:1
545:25	801:15,24	550:7,13	718:18	888:14
	872:5,10	551:16 573:5	719:14	891:18
E	earned 572:15	633:6,7	723:14	elect 778:2
E 547:1,1 914:1	572:17,19	675:14,15,15	724:16,20,25	election 796:14
919:2,2	589:2 628:16	679:7 691:9,9	749:23	electric 543:12
ear 884:4	637:16,18	702:13,18	793:15 802:8	543:13
earlier 599:10	638:10,20	703:1,7,10	802:12 827:1	544:14
633:12 645:5	639:20	728:20,20	852:6 865:1	547:19
710:6 749:25	641:15,25	730:2,10	effective	551:15,17,25
750:14 751:1	642:5,14,17	741:9,13	549:22	553:2 554:12
752:6 795:2	643:9,16,18	751:11	768:18	560:21
826:18 851:4	645:1,15	766:21	862:18	585:24
851:9 871:2	647:23 648:3	777:23 778:5	effectively	634:13 635:4
874:23	673:1,13	778:18	756:14	635:6 684:19
884:22	677:6,11	779:12,17,23	effects 720:6	696:24
early 551:17	690:18	780:18	efficiencies	763:20 764:1
564:11	694:25 695:2	803:12 833:7	573:22 796:8	779:4 802:23
682:11	695:4,7,10,13	837:9 848:8	efficiency	808:1,4
689:16	697:3 708:18	868:10	574:7 624:11	electricity
699:25	714:24 715:4	earns 625:17	710:17	813:2,23
862:19	726:18	677:23 786:4	833:13	817:3
earn 551:5	731:17	Earth 545:24	efficient 553:21	elects 574:12
552:24	748:19	easier 820:7	573:25	796:13
559:18 572:4	754:21	East 544:11	849:19	elegance
586:21	767:14	easy 565:18	efficiently	797:20
587:15	776:24 777:2	819:2	565:21,22	element 744:8

821:16	682:14 685:5	729:9,13,19	environmental	776:22
eligible 764:11	734:10 778:8	732:2,10,15	545:21 552:3	782:11,13
795:19	encourages	732:16,17,18	554:2 625:25	783:25 784:9
796:12	574:8	741:15 751:2	808:24	790:23 791:6
801:11,17	encouraging	754:16	environments	791:20 792:8
802:4	658:1	759:20 760:7	684:22	798:12
eliminate 574:4	ended 628:18	760:11,16,19	ephemeral	especially
eliminating	645:1 655:22	761:22	566:10	849:15
682:17,19	679:23	enterprise	equal 588:8	essence 595:1
ELMO 547:19	707:14	625:19	610:15 818:5	essentially
Empire 900:12	731:10	entertained	820:25 832:6	564:3 612:8
904:24 905:6	765:18	793:24	845:7 848:23	614:21
906:3	ends 555:24	enthusiastic	equally 639:23	630:13 677:3
employed	579:23	613:18	equate 602:21	785:21
575:19 736:1	740:12	entire 569:1	equated 717:12	815:15
770:25	energy 545:7	634:10 681:7	equates 605:25	854:19
787:13	545:11	697:4 717:15	609:4 668:13	establish 880:2
employee	624:11	742:25 750:9	754:17	880:9
776:16,21	653:10,11	762:18 821:1	equipment	established
777:24	710:17	entirely 754:6	797:13	560:7 596:8
778:17	719:17	853:6 854:1	equitable	801:25
780:12 791:4	913:10	entirety 835:6	782:20	878:18
791:23	England	877:5	equity 556:13	establishes
792:13	544:10	entities 686:17	561:15,17	889:1
employees	enhancement	698:15	572:4,20,23	estate 808:21
621:3 689:1	547:12	entitled 578:19	608:13,23	estimate
777:1,11,19	571:23	776:24	611:23	710:14 724:5
777:21 778:2	799:21	777:10,12	628:17	807:9 825:23
778:9,15,20	ensure 900:25	779:22 780:6	629:24 630:5	826:5,13
780:7,10,16	Entergy 638:17	811:13	637:17,18	861:10 863:2
782:15,17,18	670:21,21,23	816:23	645:1 656:13	910:14
782:22,22	670:24 671:4	817:13	680:5 686:3	912:13,21
784:10,11,18	673:5 674:6	822:10	687:2 726:9	estimates
785:4 791:10	676:15 678:4	878:11	763:4 766:15	825:22
791:25 792:7	678:11,12,13	entitlement	782:13	estimating
796:18	678:14	777:9 778:15	793:25	688:24
812:15	690:19	779:14	798:25 799:4	ES-1 705:7
842:16	691:10,10	entity 698:18	799:7,12,14	ES-4 703:22
866:12,13	692:3,14	784:21	830:15	ES1 696:16,17
879:6	693:14,25	environment	equivalent	ES2 726:23
enables 784:11	695:12,18	626:3,17	570:25	727:11
enclosed 887:7	701:17,21	636:19	erroneously	ES3 702:9,11
encompassed	702:13	651:14 685:5	759:12	730:9
672:19	703:12 704:6	685:12,17,18	error 749:5	ES4 702:12
encourage	705:6,10	686:8,10	ER-2012-0166	729:21,23
574:23 593:9	708:13 714:7	698:13 699:6	543:13	evaluated
593:12,19	723:1,1 729:5	801:18	ESOP 776:16	593:3,6

evening 873:7	680:12,15	821:13	exempt 779:23	917:16,18,21
event 678:4	681:21	839:15 842:8	exhibit 575:10	917:22,24
732:3	709:23 716:3	862:6 896:11	576:1,2,4	918:1,3,5,7,9
events 633:11	716:4 718:10	901:6 905:23	580:6 601:21	918:10,12
674:7	720:2 721:6	906:24	602:6,9	Exhibits 577:2
eventually	725:13	907:10,13	603:17,18	737:12 772:4
596:2 711:12	756:13	908:8	627:19	917:1,20
everybody	807:11 831:3	examples	654:25 655:8	918:6
759:3 839:16	862:2	699:13	655:20 665:5	exist 583:23
everybody's	examination	700:20	665:9 670:18	738:24
708:19	575:13	exceeds 765:5	672:3,10,23	739:20 795:1
806:20	602:14	883:14,20	673:17	existed 554:2
everyday	675:11	884:1 885:1	675:16 676:6	583:11
565:20 567:6	725:22	excellent	679:4 692:10	587:12,12
567:6,21	733:24	719:18	701:11,12,13	existing 552:4
568:13 570:7	735:20	exception	703:16 704:2	583:5,8,9
570:24 571:8	768:12	578:19 582:8	713:4,6,8	797:16
653:6	770:21 772:4	596:23 599:2	714:1,11,13	879:25 880:7
everyone's	774:15 787:9	623:23	714:15	exists 553:1
745:12	789:21	807:25	715:20	555:15 581:2
everything's	803:19 820:4	815:22	719:21 720:4	606:23 626:2
801:20	850:16	exceptions	721:4 722:13	641:21
817:16	870:13	567:18,21	724:22	740:15
evidence	874:14	568:24	726:23 734:6	expand 619:15
553:22 580:7	894:20 912:5	excess 586:1	736:6,9,17,20	expansion
590:2 603:19	914:7,12,16	673:2	736:23 738:1	562:22
738:2,23	914:20 915:2	excessive 572:2	745:6,20	expect 559:18
772:12	915:7,9,11,17	591:5,9,15	746:4 749:3	600:4 624:22
788:18 811:6	915:19,21	756:1	758:22	625:18 646:2
819:5 836:5	916:3,5,8,10	Exchange	762:13,14	657:19 701:1
844:2 875:19	examine 598:2	721:20	763:11	711:24
899:13 903:9	examined	exclude 714:23	771:24,25	752:23
904:19 914:5	897:2	741:14	772:11 774:1	861:25
914:18 915:1	example 554:3	858:12	787:5,18,19	872:16
915:8,15,18	557:22	excluded 751:9	788:10,12,17	expectations
916:1,7	596:10 605:2	excuse 785:2	850:20	559:17,25
Evidentiary	635:24	800:4	874:24	600:4
543:7	638:17	execution	875:12,18	expected 607:6
evil 574:6	651:15	600:8	887:25 888:4	809:2 861:11
exact 727:5	653:11 697:1	executional	892:16	862:17
730:5 876:13	721:20	600:7	898:20 899:6	expecting
exactly 547:15	722:20,25	executive	899:12	650:13
557:11,12	739:14	817:15,18	902:14 903:9	expects 807:10
558:12,15	743:16 758:4	833:2,9 848:7	904:18	expend 880:24
571:4,5	769:19	860:11	905:18 907:9	expended
598:13	794:19 804:8	executives	917:2,4,5,7,8	878:13
608:18 634:6	809:18	858:1,4	917:10,12,14	expenditure

584:9 624:12	836:20	827:24	experiencing	912:6
837:1	837:13,15	expenses	685:8	extent 554:1
expenditures	839:4,8 840:3	553:20 567:6	experimental	634:19
573:12	840:4 844:25	574:1,2	560:11	657:11
650:19 651:2	846:19	578:16 678:6	expert 578:18	689:13 710:3
651:8 652:24	847:14,19,21	696:23	579:4 625:21	723:12 862:6
653:6 656:24	848:5,16	714:17	627:7,11	863:5 869:5
657:13	849:15,21	739:12,19,24	718:21	872:5
696:25 756:6	850:9,18	796:9 797:14	719:16	external 621:1
expense 548:14	851:23	803:10 808:7	720:10 799:4	634:8 635:4
549:1,3	852:17,22	809:12	809:17 811:1	649:21 652:2
556:16,18	854:6 855:11	810:22 811:9	813:9 827:20	697:2 820:9
568:4 573:24	856:25	811:18,19	834:13 879:5	externally
577:21 579:6	861:15,18	812:8 817:1,5	905:15	677:9
579:7 595:7,9	863:16 864:1	819:20	expertise 811:5	extra 672:14
595:17,18,19	864:2,21	821:12	experts 560:3	718:19
596:3,5	865:4 867:1	823:13,14	809:25 859:2	extract 752:25
601:12	869:3,14,20	827:24	explain 547:14	extraordinary
621:17	870:17	828:10	619:15	567:1,2,5,19
687:17 693:1	871:16 876:5	829:13	676:23	567:19,21
693:3,4,5	876:5 877:4,4	832:21	688:20	568:7,16,25
699:22	877:6,9,9,16	846:18 849:6	696:23	569:2 570:19
713:12,13,16	878:8,22	851:25 852:7	776:20	570:20,23,25
713:18 714:6	879:5,9	852:8,23	777:18 800:9	571:21 573:3
714:14,16	880:17 881:9	853:1,3,21	explained	574:24
716:20,21,24	881:21	854:13	616:1 674:21	618:21 619:5
717:10,12	882:12,20	864:24 865:9	674:24	620:6,13
738:19	883:14,19,21	865:25	749:25 750:1	622:3 624:19
749:23	883:25 884:2	866:16,22	786:13	656:13,15,19
751:22	885:1,8	876:12,25	explanation	656:22
756:17 757:2	886:10 896:3	878:22 879:1	716:1 743:14	797:24
768:17	896:7,8	879:3,18	explicit 802:14	extremely
784:13	897:21 898:1	880:3,10	802:16	723:5
797:12 805:2	899:23 900:3	884:22 896:7	explicitly	e-mails 886:24
806:20,23	900:21	897:6,15	784:22	888:13
807:3,9,18	901:12,21,22	902:7 906:5	explore 563:16	891:10,12
814:10 817:1	902:3,4 903:5	906:16	599:13	
818:6 820:5	905:24	910:25 913:1	720:20	F
820:20 821:5	906:25 907:7	expensive	explored	F 545:4 919:2
821:10 823:1	907:20,24	809:19	818:19 832:2	FAC 617:23
823:7,19	908:3,18	experience	express 773:1	625:25
824:10,12	910:7,12,22	679:21 754:4	extending	636:18
827:4 828:16	912:10,19	769:16	582:12	702:25 703:2
829:19,24	915:23	793:22 794:8	extends 878:17	703:5 714:6
830:10,13	917:18	experienced	extension 757:1	729:19 731:5
834:6,8	expensed 714:7	551:15 762:6	extensive 873:9	731:12
835:22	785:15	762:7	911:14,17	752:17

769:19,23	factored 574:2	731:13	fee 827:17	file 543:13
871:1	factors 553:11	751:14	842:12	550:21 551:1
face 547:20	592:4 593:6	false 721:4	feel 690:14,17	605:10,12
754:14	621:1 659:15	familiar 596:7	700:24	658:5,8,11,14
891:17 908:4	751:4 755:17	596:16,18	728:20 834:5	659:17 741:5
faced 799:21	759:22	600:23	feels 681:4	755:15
840:11	760:15 884:4	602:17 610:6	fees 821:14	758:12
faces 567:13	fail 657:14	610:18	827:23	763:20
facilitates	failed 572:3	616:11	869:11 879:4	764:20
615:1	573:3 748:2	628:23 764:1	879:5,5 911:6	787:20
facilities	836:14	773:25	feet 832:15,18	801:12
550:12 817:7	failing 565:24	827:18	fell 550:3	802:25
facing 547:15	565:25	833:24	felt 581:7	823:22 824:5
551:24	failure 549:16	876:11,13	599:17	824:21 826:8
560:24	574:14	909:10	732:17	852:9,21
fact 560:9,24	699:16,19	far 569:13	FERC 678:14	863:17,18
572:18	700:11 719:2	624:20	693:16	864:17 865:6
578:14	719:4 723:12	649:22	721:25	866:24
587:14	848:20	687:17	732:16	870:16,21
598:25	fair 560:22	705:23 720:9	756:21	871:2 880:21
601:12	617:20	815:12 831:3	808:22	881:2
606:21	644:17	837:21 861:9	fifth 867:7	filed 553:2
619:19	648:11,15	861:12 884:4	fight 816:18	555:18
640:12	651:7 688:12	888:15	figure 569:21	560:14
652:12 681:2	691:20	894:11 895:2	592:5 607:9	575:25
685:3 689:10	703:11 728:7	farther 587:3,7	630:6,10	579:10,14
699:11 748:3	728:8 731:21	838:21	632:15 633:1	604:12
767:19 786:3	731:22	fast 802:24	637:9,17	605:15,16
786:6 794:17	738:25 740:1	fatally 574:13	666:8,9,10,13	623:22
801:1 825:13	751:25 752:4	fault 685:6	674:19,22	624:23
830:20 831:2	753:21,24	favorable	704:25	634:19
835:1 837:20	755:7 761:3	549:15 555:7	705:20 726:1	659:21,25
838:21 843:6	784:15	626:3,16	726:3 741:8	665:10 749:8
851:19 862:1	795:15 799:9	636:19	741:13	758:15 759:8
864:8 865:12	800:25 801:1	679:21,24	746:10,15	759:12
880:3,9 881:8	818:14	685:1,4	748:19	762:14 766:4
882:18 886:5	839:20	686:10	757:16 762:3	767:16 771:5
890:12 904:6	844:24	February	762:4 826:25	787:17 816:4
906:12,16	868:19 871:9	624:14,15	827:1 852:20	816:12,16
908:16	fairly 624:19	855:25 856:8	861:9	824:15,24
909:24	646:24	862:21	figured 704:18	828:17 829:2
factor 624:8	833:24	Feddersen	704:18 833:7	829:5 849:2
649:16	fairness 763:14	543:24 919:5	figures 604:20	855:3,25
658:13	795:14	919:17	604:24 605:1	856:8 858:8
676:15 714:4	838:23	federal 778:7	637:25	858:10,13
759:17	839:22	827:14,20	746:11	876:11
827:11	fall 632:3 682:9	828:6	826:14	881:24

882:11	566:10	776:15,21	758:9,11	590:20
files 549:3	591:10	782:11 784:9	802:11	following 705:1
769:4 791:2	828:21 887:7	785:16	five-year	723:3
804:10	finds 841:3	786:18 799:3	640:13	follows 575:12
807:16	fine 560:8	804:12 813:9	641:13,19	733:23
filing 604:2	745:4 760:20	836:16	647:4,9,12,19	735:19
739:2 749:7	820:18	840:22,23	767:22	770:20 787:8
759:12	finest 708:20	843:22 850:9	854:11,12	789:20
762:21,24	725:24	850:10	fix 562:19	850:15
763:10	finger 844:17	878:10	616:15 617:6	874:13 897:2
802:23	finish 848:24	885:21	617:8 699:17	footnote 577:11
817:11	finished 559:24	886:17 887:6	834:16	579:24
819:14	873:4	887:7,25	fixed 639:4	720:13
851:15	finite 633:24	888:18 889:2	fixes 651:24	force 843:2,3
852:25	firm 787:14	889:13 896:6	fixing 651:20	forces 843:20
853:18 882:6	810:20	898:23	flavoring 743:8	foregoing
882:15	813:10	Fischer 544:20	770:8	919:11
908:12	820:25	544:21	flawed 574:13	foremost
filings 624:21	827:13	fist 559:5,12	738:17	565:25
853:13	842:16 919:6	565:18	fleet 808:1	foreseeable
fill 863:6	firms 809:20	fit 821:17	flight 610:11	552:1 561:10
final 818:3	809:21 810:5	903:18	floating 566:14	forever 549:11
828:17	810:7 815:4	five 566:9	Floor 545:13	form 547:25
837:14 863:9	835:6 860:6	571:13 585:5	flow 719:8	558:10
Finally 554:21	first 548:16,24	587:2,4,7,10	805:1	571:22 573:2
811:8	550:18	588:14 590:4	flowed 781:25	576:1,3
finance 804:8	551:18 553:7	590:5,9 603:7	flows 559:19	580:20
finances	565:25	603:8 604:15	560:23	590:14
627:13	570:20	604:25	561:21	616:23
721:11	571:11 575:5	641:20 647:7	593:14,14	634:24,25
803:21	578:6,23	648:1 654:5	607:24 608:4	635:2 665:25
financial	581:15 596:8	656:21 682:1	685:11 856:6	680:12,16
550:25 551:1	599:22 619:3	728:10 747:5	focus 572:15	formally
561:14 573:3	628:17	766:24 767:6	573:20	573:16
608:5 686:15	629:22	767:20	focused 801:2	format 634:16
721:12,14,16	649:19	794:10 802:8	focusing	formed 587:12
721:19,22,25	665:15	803:25	635:23	747:25
817:8	666:21	809:23	fold 849:17	forming 903:4
financially	669:24	853:17 855:1	folks 617:7	908:1
631:25	675:13 681:1	864:16 865:6	820:9 856:12	forms 582:8
726:20	688:23 703:5	865:17	follow 569:17	748:4
financials	705:7 710:7	870:23 871:2	589:21	formula 558:1
562:23 639:3	712:21	874:7 911:1,7	597:11 637:3	558:3 581:2
649:20	724:15	five-minute	706:16	651:15
financing	770:15	873:17	722:10	684:24 722:6
808:23	771:12	five-month	761:10	754:7 910:8
find 564:4,5,6,7	774:17	585:6 681:24	followed	forth 758:19

919:9	796:10	555:16 641:5	803:16	Gary 627:18
Fortnightly	frameworks	796:20	867:10,22	665:18
564:7 680:14	562:12	919:11	870:7 872:18	gas 634:10
680:21	644:21 652:7	fully 572:3	893:7,12	635:4 779:4
831:20	652:13	573:11	894:16 895:8	808:4
Fortune 808:18	684:18	845:16	913:4 914:10	gate 682:21
forward 581:2	frankly 585:7	full-time 811:3	914:13,13,14	gauge 727:18
582:12	602:23	fund 611:25	914:15,15,16	gear 744:6
592:11 615:6	623:21	689:9,14	915:5	geared 856:9
650:21	649:21 684:1	699:22	furthermore	gee 728:20
685:21	699:25	700:23 848:3	895:17	general 544:15
699:11	708:16	fundamental	future 552:1	590:20
724:19 742:7	840:10 841:3	644:5 839:22	558:5 561:10	610:10,14
797:7 841:23	842:2 848:2	fundamentally	573:5 574:11	620:6 651:21
870:15	freely 734:11	616:9 650:6	607:21	670:19
found 787:25	frequency	651:19	619:18	718:13,15
821:20 832:1	603:4 792:14	681:12 682:2	645:11,16	796:10
foundation	853:13	683:25	648:10,14	829:15
578:24	frequent	708:10 777:8	652:12	845:14
887:15,16,19	699:20	834:11	725:14	849:15
887:23 888:7	frequently	funded 780:8	781:24 786:9	868:25
894:5,14,16	852:25	805:12	794:15	876:15 878:7
895:5	FRI 648:12	846:11 848:2	828:11 852:5	878:21
four 728:10	Friday 572:12	850:5	852:14,16	880:13
766:24 767:6	735:12	funding 689:4	853:4,6 854:2	890:17,25
767:19,22	742:11	689:7 805:8	864:3 865:11	generally
794:10	frivolous	845:9,16	866:2,13	583:21 584:5
803:25	816:12	846:10	867:9	597:9,25
842:19 850:6	819:15,18,24	funds 548:1		603:7,12
854:11,12	821:17	573:11 599:6	G	625:17
883:1,9	868:12	700:7 780:19	G 547:1	629:19 639:3
frame 606:2	frivolously	780:20 795:6	GAAP 568:10	903:17 911:5
744:12 867:5	821:15	further 571:15	568:12	generate 813:1
framework	front 673:19	573:14 611:8	589:17,18,21	813:22
547:12	696:9 781:4	618:13 637:2	589:23	generates
554:11 573:1	856:14	656:7 675:5	gain 897:24	778:6
583:5,8,10	frustrated	690:8,11	900:1	generating
586:4 609:2	708:8	691:21	gambit 566:13	550:12 808:1
611:18	frustration	703:23	gaming 844:14	generation
614:25	721:1	712:12	gamut 766:9	779:5 817:2,7
615:11	fuel 624:10	715:10,12	796:20	generations
616:10	652:25 653:1	720:20,25	gap 557:25	560:7
645:21 650:9	728:13,22	725:20,22	558:1,7 581:1	generous
650:13	769:22,24	744:25	612:5 681:24	572:16
651:19 652:5	fuel's 653:2	747:15	684:3 763:14	getting 566:17
684:17	full 549:13	757:24 760:2	851:15	567:12
793:23	554:14	761:2,5	853:19 867:7	699:21 719:1

HEARING 10/1/2012

817:8 824:19	602:13	740:11,22,23	685:11,23	good 547:3
842:10,11	603:12	744:15,15	688:10,25	563:23
887:17	605:22 607:6	751:23	689:6,7,8,8	571:17
giant 570:1,3	611:2 615:19	764:10,15	694:9,10	575:14,15
give 565:8	621:6,7	790:22	696:1,4 697:1	580:15,16
577:16	629:21	791:11	697:1 706:13	600:17,18
592:24	640:15	801:10	706:14 707:9	618:17,18
623:15	644:14 651:3	802:12	707:9,25	625:8 698:2
637:21	658:6,7	812:17	708:7,8,9	708:22 717:8
659:13	659:15 660:4	834:15 843:8	714:12	738:13,14
707:20	660:8 669:24	863:14	715:13,15,16	742:20,21
778:12 799:8	687:11,11	going 558:25	715:19,19,21	756:3 762:4
841:12	699:10	560:15,19	716:1,3,6	783:21
849:18	707:20	561:4,6,9,10	720:8 724:15	787:10
853:25 854:2	710:18	561:11	724:19	792:25 793:1
864:10,11	712:10	562:16 564:5	725:13,14	820:23
892:1	713:14 719:3	564:6,7 568:1	730:24 733:1	833:22
given 557:17	733:12,17	568:19 569:1	733:10	852:21
557:23	740:2,2	570:11	745:11 746:6	874:10 878:4
630:19	746:16,18	572:12	765:4 772:23	878:5 893:14
645:21 648:6	747:9 758:22	579:20	775:11,18,19	906:6,9
650:8,23,24	761:6 776:5,7	585:20	798:19	Gorman
650:25,25	783:23 802:3	586:12	802:11 812:5	574:22
684:6 700:4	802:8 806:19	587:24	816:5 819:2	735:12
711:25 724:6	807:2 813:7,8	591:19	825:23	Gorman's
801:18	813:17 820:7	595:21 596:3	826:12	572:10
804:15,23	822:3,15,21	596:11	832:16	gosh 567:13
836:2,6	823:10	601:17 605:6	838:16,25	836:12
857:15 872:3	828:21	605:6 613:25	839:3,10,17	gotten 614:18
880:3,9	833:14 837:4	614:19 615:6	843:2,2	640:14,14
912:13	852:5 854:7	619:22	845:21,25	735:5 767:1
919:14	856:9 866:15	621:15,17,18	852:11,21	767:19
gives 598:15	870:4 874:5,9	622:13	860:23 863:2	governance
636:1,9	884:17	625:15,16	863:18 864:3	808:23
685:18	886:23	630:24,25,25	866:6,8,11,12	governing
752:21 864:8	888:14	635:24	866:24 867:2	878:22
giving 780:3	892:10	636:10 639:8	870:21,23	government
840:20 881:5	893:11 912:1	642:23	873:20,20	778:7 805:7
884:10	913:8	645:18	877:1 887:13	grant 562:2
glad 625:9	goes 548:19	649:17 650:1	892:1,3 893:8	569:9 579:21
866:18	549:4,8	650:14,21	894:4,8 895:3	612:17 613:1
GMO 900:13	555:25	654:3,8,15	895:20	613:24 821:3
904:24 905:6	556:18 615:4	655:3 656:3	911:21	867:17
906:3 907:13	615:4 629:17	659:1 666:2	going-forward	granted 620:14
go 549:14	649:23 667:4	666:24	724:12	651:2 655:16
563:17 575:5	689:14 711:4	670:14,15	Gontard	819:6 820:20
579:20 602:1	722:14 740:9	677:22 682:7	545:12	871:22

granting	578:12	611:11,12	761:14	650:2 653:25
596:22 608:3	581:20 586:4	618:12	808:13	654:6,7 671:6
grants 811:23	590:10	619:13 637:2	825:16 826:2	682:9 700:18
867:17	591:12	654:13	864:11	844:19 863:3
graphs 709:20	596:25	670:21	865:13,16,20	863:4
great 545:21	598:10 599:1	687:25 708:7	868:21	happened
571:11	599:7 600:8	712:14	871:15	643:6 677:4
605:21	603:13	725:23	912:12	693:2 835:9,9
greater 544:24	608:25	741:25	hand 554:11	835:10,13,14
598:6,25	610:17,21	742:16	559:5,12	845:14 890:4
602:25	614:2,5	757:24 761:4	565:17,19	happening
644:23	615:22	773:22,24	733:18	594:16
687:17 808:3	616:21	774:6 786:20	735:15 770:1	777:19
greatly 567:7	617:21 619:3	787:3 789:3	833:12	838:15
ground 837:12	622:7 626:20	790:18,20	874:11	happens
grounds	626:23	792:18	handed 886:16	568:20 570:9
807:21	632:18	798:11 806:7	902:23	618:3 711:6
group 545:11	635:10 636:9	811:22 812:2	handing	718:16
558:17	647:24 656:2	819:1,11,22	675:12	751:15 910:3
563:16 791:2	680:8 684:15	820:2 821:6	handle 650:6	happy 601:24
820:10	687:10,14	821:22	655:4 733:10	850:12
861:17	694:24 698:3	822:23 823:8	759:24	890:19
886:20	698:4 702:5	823:15 838:8	808:17	hard 845:1
growing	706:2 711:12	838:12	809:10	harmed 621:5
559:24	740:21 744:1	839:13 840:9	handled 759:25	hate 601:15
803:11	746:10	840:25	760:4	651:11
grown 559:14	753:18 757:3	841:15 842:6	Hanneken	762:12
559:15 600:4	758:12 763:6	842:22,24	873:2 874:6	HC 576:1,3
701:1 803:25	767:18 790:1	843:17,25	874:10,13,16	736:10,24
805:11	798:17	844:9 848:19	874:20	745:18,19,23
grown-up	813:25,25	867:14,21	875:21,25	746:14 771:9
560:21,23	814:9 816:3	871:22	878:4 880:14	903:21,25
growth 551:16	822:24 829:4	911:19 914:8	883:18 884:9	904:12,13
551:19,22,24	830:8 851:25	914:10 915:3	885:7 886:16	head 701:3
564:18	853:15 855:5	915:5,10,20	890:10,15	760:12
565:16,17	863:19 869:5	916:4	892:19	hear 572:9
566:17	911:25	Gunn's 621:16	893:17	574:21
574:20	guide 854:3	812:12 846:9	894:21	642:13
587:14 588:4	Gunn 543:19	gut 834:10	898:16,23	644:18
588:6,7,12	556:22 558:2	guys 613:13	899:15	802:14 827:8
606:11,13,16	558:5,10,19	815:2,7	900:18 901:8	heard 560:11
615:6,8,9,21	561:23 562:1	836:12 848:1	902:22	560:13
647:9 685:12	562:7 563:18		904:21	564:10
803:10	565:11 569:7		910:15	566:20 572:6
guarantee	569:17,25	H	911:22 913:5	572:13 601:1
619:22	571:2,12	half 559:8	916:8 918:5	622:18
guess 577:2	575:3 594:25	751:18	happen 560:19	715:22,23

732:25 733:4	812:21	904:4 905:5	784:18	hot 633:10,14
733:5 751:1	841:24	905:12 918:4	hole 606:6	633:17
752:6 759:5	helpful 601:25	hindsight	607:8 624:2	638:21,23,25
774:3 786:4	611:17	598:3	681:3 768:15	639:7 644:11
793:7 797:10	636:21	hire 811:1	holes 872:12	646:14,14,16
829:9 831:2	720:17 849:1	813:7 836:3	holistic 634:9	646:21
876:4 882:13	911:22	859:2,2,5	802:22 803:2	649:10 656:3
889:5 890:5	helps 775:24	879:13 901:7	holistically	hour 708:20
894:6	791:9 812:22	905:20	802:18,23	725:24
hearing 543:7	HENRY	909:25	home 780:6	834:13
547:2,4	545:20	hired 809:3,21	homes 559:4	hourly 719:24
551:12	HERNANDEZ	844:3	honest 654:11	810:18,19
603:16 605:6	546:6	hiring 812:15	Honor 575:9	815:6 821:15
694:25 698:4	Hevert 685:25	896:20	577:1,7 578:7	821:18,19,19
709:5 719:18	811:2	historic 767:9	578:12	828:1 842:11
735:4 737:24	he'll 709:10	910:13	600:13 602:8	911:1,6
742:25 772:9	775:13	historical 678:7	637:1 660:1	hours 654:15
781:3 788:15	high 573:24	724:23 725:1	675:8 702:3	827:23,24
823:10 834:9	592:17	754:8 794:21	737:11	828:9 842:19
835:3,5,8	821:18,20	801:3 803:11	746:13 747:8	857:2 858:21
840:1 842:18	higher 574:11	852:1,14	776:12 782:6	house 836:2
844:4 863:5	626:11	854:20	788:9 789:11	houses 780:8
863:11	633:20 638:1	863:22 866:1	807:6 850:2	hovering
875:16,25	638:4,22	866:25	870:3,12	694:18
hearings 651:4	640:3 641:22	903:17,25	871:17	huge 569:11,12
827:7 862:4	641:25	908:20	875:11 877:2	651:24
863:3	643:18 646:7	912:15	885:18	Huh-uh 859:23
hearing's 862:5	646:25 647:2	historically	886:13	hundred 551:9
hearsay 577:12	648:21 650:3	587:24 754:2	887:17	564:20 565:4
578:20 891:6	655:19 656:1	867:5,6	888:21	588:3 641:7,8
895:17	669:23	912:18	889:10 890:5	685:10,22,24
Heights 653:10	670:23 674:7	history 587:25	890:23	710:10
held 660:12	674:8,12	588:1 697:23	891:22,25	hundreds
778:5 791:4	710:3 748:22	725:4,7 767:8	892:9,14	907:4
792:12 816:9	highest 810:12	767:11	893:9,15	hundred-yea...
help 547:17	highly 628:7,12	807:15	894:17	566:7,7,8
552:23 553:1	660:2,3	852:24 853:8	898:13,19	hypothetical
562:23	746:22 747:7	853:10,25	899:5 902:11	843:12,23
629:25 630:2	747:9,17	854:2 867:6	902:18 903:8	H-a-n-n-e-k-...
649:17	826:21	908:20	907:25 912:4	874:19
652:18 696:8	841:10,16,17	917:19	hope 625:2	
706:4 712:6	841:18	hit 647:8	hopeful 893:10	I
714:12	859:18	670:10 692:7	hopefully	Iatan 552:15
718:12	901:15	hitting 647:13	622:15 712:5	idea 707:20
771:24 804:8	902:18,19	692:4	715:8	709:3 770:6
809:10,15	903:14,15,18	holding 635:7	Hospital	856:3
810:4,9	903:24 904:1	holdings	545:15	identical 556:4

IDENTIFIC...	impacted	833:13	714:16,23	574:15 595:8
575:11 602:7	649:20 710:9	imprudence	729:8 763:21	639:8 713:19
787:6 888:5	impacting	843:19	763:22	713:21
892:17	653:22	imprudent	764:16 779:3	717:10 733:7
898:21	imperative	554:19 814:6	858:9 866:19	735:6 775:13
902:15	822:11	814:9 816:10	868:5,13	776:4,9,14,18
identified	implement	819:24	879:4 886:17	777:24
884:2	549:5 617:13	821:17 836:3	included 548:5	780:25 782:8
identify 699:10	645:11	842:20	555:9 573:17	782:25 783:4
ignore 572:18	680:20	inability	595:7 613:9	783:13 785:3
ignored 785:25	implemented	552:24	638:16	785:11,21
ignoring	583:1 607:18	630:15	648:23	786:8 790:4
572:16	616:22,23	644:24 803:9	655:22 656:4	800:12,19
573:21	620:25 645:9	inaccurate	679:3 680:1	803:8,24
574:20	680:12 684:2	705:20	688:8 692:24	805:1,2,5,13
Illinois 651:15	758:6	inappropriate	693:5 712:25	806:18 835:4
779:3 808:22	implementing	554:15,24,25	713:1,15	915:12
illustrated	614:12	773:9	743:15,22	incorporated
843:13	616:19	inappropriat...	758:5 759:12	633:10
illustrates	importance	678:15	764:11	incorrect
547:19	796:14	732:18	781:23	631:21
imagine 572:22	important	incent 594:6	784:13 786:1	667:10,12
766:23	574:7 631:24	incentive 551:1	786:15	748:18 749:9
814:25	692:9 796:22	554:8,11	795:21,22	incorrectly
imbedded	800:17 801:3	574:7 592:24	801:11 802:5	881:7
764:25	803:12 826:9	593:2 751:9	837:10	increase 543:13
immediate	importantly	761:11 778:8	854:16 855:8	553:25 554:5
584:8 608:4	641:25	833:5,10	857:22 858:5	559:6 572:21
804:5	imposed	837:5,7	868:21 869:7	623:23
immediately	809:10	849:13,19	869:10	624:10
607:18	improperly	857:19,22,25	876:21	640:14,15,18
781:19 802:5	744:19	858:4 868:5,9	877:21	654:1,4
imminently	improve	incentives	878:25 887:9	657:23
852:9	561:13	598:1,6,12,16	includes 791:3	668:14
impact 555:4	585:15	598:19,20,21	817:22	669:12 687:7
562:13	684:22	598:24 599:3	including	687:15,18
612:18,22,25	793:15	599:11 600:6	577:11 611:1	711:5 721:1
621:1 648:8	improved	751:12 765:8	688:7 764:5	751:24
653:21,24	585:21	incident 817:10	777:20 785:4	755:14,16
677:5 679:7	improvement	817:12,16	804:3	763:20 767:1
711:8 724:5	612:11 648:7	incidental	inclusion	767:7 794:22
731:6,14	improvements	779:16	743:10	797:23 800:7
732:9 759:14	648:13	includable	751:23 783:6	800:18
762:18,22	653:17	797:3	795:20	811:24
778:18,24	657:12	include 634:10	802:15,16	816:17
780:20	700:15	666:13	income 554:23	830:14,14
798:24	improving	667:13	555:1 566:2	867:17 868:6

872:2 876:21	852:24	industry 559:2	887:22	instance 573:22
increased	853:20,21	566:7	889:11,14	598:15
583:19 584:2	855:25	industry's	900:15,18,20	779:25
588:8 603:3	863:16	804:4	901:9,13	785:14
655:12	878:17,24	inexpensive	902:18 903:2	Institute
717:21 732:3	879:6,16	653:18	903:16,17,19	545:24
773:10 800:9	884:5 900:2	687:23	903:25 904:6	institutional
805:11	913:1	infinite 813:3,5	904:7,8,23	646:5,9,11,20
827:10 831:1	incurring	813:7	905:1,4,6,12	751:21
911:2,6	548:13,25	inflation	906:2,14	761:16,19
increases	814:6 816:13	853:23	907:17 911:9	876:20
562:19,24	898:2,6 900:4	influences	infrastructure	instructions
583:23 615:8	901:1,5,6	713:1	551:7 559:3	698:1
624:10 651:2	independently	informal	561:7 594:6	insufficient
739:4 766:24	750:20	897:11	594:10	887:19
767:6,20	Index 914:11	information	598:17	insurance
805:13	917:1	576:18	614:24 615:2	816:8
811:15	indicate 826:17	578:18	648:7 650:22	intended 866:5
816:19	888:9 896:19	635:12 660:2	653:8,15	intent 905:9
817:23 819:6	indicated	660:4 665:9	656:24	intention 658:2
828:6 864:25	649:21 652:3	665:14,17,23	657:11	912:25
866:9,19	698:24	666:3 667:13	658:10 700:9	intents 648:3
increasing	747:16 749:9	672:3,10,23	739:6	interest 589:18
573:20 677:5	761:15 775:9	672:24	inherently	653:18 687:1
743:23 833:7	803:21 826:6	673:19 679:4	848:4	687:21
833:13 837:9	848:6 861:2	680:3 694:21	inquire 575:8	785:23
incremental	882:20	698:19	733:21	827:13 828:4
550:16	887:20	708:20,21	735:18	837:25 838:2
574:14	indicates	712:5 720:5	770:19 787:7	889:1,7,10,17
739:11	859:25	722:6,16,17	805:20	889:19
792:16	889:14	723:7 725:4	inquiring	890:11
793:14	903:15	731:24 737:7	895:23	interested
797:14	Indicating	752:11 766:8	inquiry 821:11	848:22
800:20	628:9 887:1	771:21	insert 576:14	interesting
804:24	indication	786:21 788:1	inside 836:10	563:2 827:3
incrementally	854:1	792:13	insight 742:11	interests
799:18	indicative	824:20,20	insofar 722:13	888:22
incumbent	698:10 713:6	829:5 841:10	install 552:3	889:23 890:3
741:4 834:24	714:14 715:3	841:11,13,19	682:5	interest-free
incur 650:15	835:14	841:21,24	installation	785:22
809:5 880:2,4	individual	843:8 849:2	551:20	interim 566:14
880:8,10	570:8 639:22	851:20 852:4	552:14 796:4	581:2 620:1
897:25 898:3	896:14	854:20	796:7	620:22
901:2	individuals	856:13,14	installed 548:3	623:25 669:6
incurred 574:9	827:15 860:9	863:23 866:1	553:13,17	internal 856:11
595:17 639:9	Industrial	875:8 882:18	554:3 739:10	857:6 896:20
678:6 808:6	545:7	886:6,9	739:15	internally

820:9,18	591:15	635:18	895:11	835:12,23
interpretation	598:17 599:4	653:14,22	908:17	840:3,3,4,6
582:10	625:19	654:3 657:17	irritation 721:2	841:6,14
interpreting	investment	658:10	Island 545:24	842:1,5
583:22	547:24	670:14,16	isolate 635:3,6	844:25
interrupt	549:13	681:18,19	isolation	845:16
601:15	550:10,17	683:14	796:23	846:19
intervening	552:18,19	687:13,17,22	797:23	848:22
640:12	554:10	687:24 689:4	ISRS 743:8	850:18 851:4
intervenors	555:17	689:18,20	770:8	858:18 864:8
605:19	557:16	743:9,15	issue 562:16	864:10
908:15	564:13	756:11	563:15 567:8	868:12
909:18,24	568:13 574:5	777:23	571:25 572:5	869:18 876:2
intimately	574:11,16,17	781:23,23,25	576:13	877:16 886:8
596:16	574:18,19	785:12	577:21,22	892:5,8
introduced	591:10 593:9	792:15	581:8,14	895:16 913:7
572:10	593:12,19,22	800:24 801:9	587:16	issued 824:4
intuitively	599:15,17,21	investors	592:15	851:11
795:17	611:25 612:3	610:11	595:22 616:3	issues 581:17
invest 547:20	612:6,7 615:5	625:18 634:8	619:12 729:4	611:6 686:21
549:17	621:17 653:9	634:17 652:3	733:3,6,6	724:10
550:19,25	670:11 681:5	invests 550:11	735:7 761:12	742:23 743:1
551:6 552:25	681:8,9	invoice 884:6	761:15,16	776:14,20
554:15	682:14 683:3	invoices 896:14	764:9 775:6	782:10
555:15	683:12 685:5	901:3	775:11,21,23	783:12,13
585:12,14,20	699:1 740:15	involved 589:8	776:3,3,9,15	784:9 790:4
591:20,24	744:9 755:11	809:13 810:1	776:22,22	808:17,22,22
592:25 593:2	755:12	856:1	777:8 778:10	809:14 819:6
594:6 599:5,6	756:13	involves 776:17	780:24	828:8 834:3
669:5 682:17	758:15 778:1	780:24	782:13,24	835:10 843:4
682:20	792:4 794:11	784:20	783:2,19	908:4,6,7,24
700:25 777:1	795:19,19	involving 776:9	784:2,9,9	909:5 913:8
777:11,21	800:2,20	in-camera	785:5 786:24	item 548:24
778:16,17	802:13 803:1	660:4,8,12	793:3 794:3	549:7 568:7
780:16	803:22	746:16,18,24	801:5 802:18	907:5
782:16	830:19 872:9	747:12	803:12	items 565:21
invested 547:25	872:10	914:11,17	806:19,20,23	567:1,2,3,5
563:15	investments	in-house	807:3 808:10	567:19
612:10	549:18 554:1	836:16	818:15,16	568:25
689:13,15	554:18 561:6	in-service	819:14,15,19	570:25 697:2
777:23	564:12 567:6	604:4 768:17	819:20,24	714:9 729:24
800:14	586:7 591:23	ironic 566:5	820:22	729:25 736:5
investigate	591:23,25	irregardless	822:19,21	737:8 753:17
824:5	592:1,22	714:21	825:11	822:12
investing	593:4 600:1	irrelevant	831:25	829:20 875:2
585:24,25	623:24 624:6	581:10,18,19	833:24 834:9	
586:1,11	624:14	581:20 754:3	835:4,4,6,8	

786:19 787:8	JENNIFER	675:7,10	792:20,23	911:13,18,24
787:12,16	546:6	676:20 690:5	798:2,6,8	913:5
915:16 917:3	JESSICA	690:8 696:13	803:17	judged 823:9
January	544:15	701:8,10	805:16,18,23	judgment
549:23 658:6	jfischerpc@a...	702:4 707:24	806:1,5,8,10	840:13
862:18,19	544:23	708:5,24	806:13,16,24	July 605:4
Jarrett 543:19	job 659:23	709:4,7,12	807:2 811:21	607:12 613:6
618:14,15,16	849:18	712:9 715:11	812:4 822:22	633:8,9,10
623:14 625:4	jog 718:12	716:10,14	823:16 825:7	642:7 649:9
657:22	John 545:16	720:23	826:20	666:15
688:16 701:8	665:11	722:21	827:20 828:6	669:19
701:10,23	735:14,19,22	725:21	828:13 829:8	679:25
702:20,23	915:2 917:21	732:21,24	833:19 838:7	710:10
703:16,20,23	917:24 918:1	733:12,16,20	846:7,9	712:24
704:17,21,24	918:3	734:12,16,20	847:24	727:25 728:1
705:13,17	Joplin 570:9	734:22,24	849:25 850:8	863:8,12
706:3,9,18	journal 564:6	735:2,8,11,14	850:13,24	899:3
708:3 735:1	582:22	735:17	859:12,13,15	jump 849:25
742:18,19	JPC-SUR-1	737:15,21,24	861:21	jumping
744:24	748:13	738:5,8,10	867:12,23	871:21
769:12	JR 546:1	741:23	868:1 870:1,4	June 572:19
773:15,16	judge 543:17	742:18 745:1	870:9,11	628:18 630:6
783:10,11,23	547:3 555:20	746:18,20	872:19,23,25	630:17 631:7
789:4,5	558:20	747:11	873:3,8,16,18	632:19 633:1
792:20,21	561:22	757:21,23	873:22 874:1	633:2,9 642:6
806:8,9	563:21	761:6 762:10	874:5,10	645:1 649:7,9
823:16,17,21	571:16 575:4	765:6,11	875:13,16,22	649:21,22
823:24 824:3	575:8 577:5,8	768:10,11	877:12 878:1	655:18,22
824:8,14,18	577:16,23	769:6 770:12	885:19	672:11,12,15
824:23 825:1	578:2,5,10,21	770:19	886:14	672:20 673:1
825:5 828:14	579:9,20	771:23 772:1	887:13,24	673:4,12
828:23 829:1	580:1,4,8,11	772:6,9,13,16	888:2,6,17	675:23
829:4 833:25	580:13	772:18,20	889:4 890:6	678:25
846:7,8,16	596:13	773:15,18,21	890:21 891:5	679:23,25
847:2,7,10,12	600:12,15	774:7,10,12	891:19,23	690:20 691:5
847:22	601:15,19	774:14 775:4	892:1,6,10,12	707:15,18
851:14	602:1,5,10,13	775:7,15	892:15	710:10
867:23,24	603:14,16,21	776:2,7 782:4	893:11	715:17,21
871:18,20	611:9 618:14	783:9,17,20	894:15,18	726:2 727:8,9
872:17 914:9	622:9 625:5	783:21	895:8,18,19	727:20,24
914:13 915:4	636:24	786:17 787:7	895:20,23,25	730:3,12
916:6	654:14,19	788:12,15,19	898:14,18	731:7,10
Jefferson 543:9	656:8 659:12	788:22,24	899:7,10	751:13
544:12,17,22	660:6,8 665:1	789:1,4,7,9	902:12,20	765:18
545:6,9 546:3	667:1 671:17	789:12,16	903:10,12,20	824:15
546:10 879:7	671:19	790:9,12,14	904:3,11,14	jurisdiction
919:15	674:15,16	790:16	904:17	578:16

581:16	Kellene 543:24	849:11,20	knew 835:16	739:8 740:2,5
680:23	919:5,17	868:1,2,4	know 556:11	740:16
811:11 818:5	Kenney 543:20	869:24	556:11 557:2	742:14,15
818:10 880:1	555:21 556:3	873:19	558:11,14	743:19
880:7	556:9,15,19	911:16,20	566:10 567:9	744:14 750:1
jurisdictions	567:24 569:3	914:9,13	568:18	755:14
578:14	569:16	915:4,10,20	569:13	757:15,18
680:13 685:1	570:22 625:5	916:5	570:17	762:5 766:14
686:11	625:6 627:25	Kenney's	577:19 579:2	766:19
698:22	628:3,15	644:19	580:17	771:15 775:1
818:19	665:5 670:18	774:17	587:21 602:4	775:11
846:23	690:11	Kevin 543:19	605:3 609:8	792:17 803:4
869:21	696:15 701:6	546:6 561:23	609:10,18	809:12,23
jurisdiction's	702:6 718:2,7	563:18	615:12	812:12
685:4	727:6,9,12,15	key 567:1	617:10,18	814:16,19
justified	727:19,23	kind 557:14,17	618:6 620:2	815:1 818:22
799:25	728:1 730:17	559:18,19	620:15	821:15
816:12	745:1,2 746:3	561:1 562:7,8	621:25 622:1	822:22 823:6
justify 699:21	746:6,8,16,25	567:8 568:1	622:8,19	826:7,13
	747:20	570:1,3,16	627:11 631:7	828:20,22
K	757:19 758:2	578:18 579:4	634:7 635:9	831:17 835:8
K 543:24 544:2	763:13 768:2	594:2 599:7	638:2,5,11	835:21
919:5,17	772:21,22	613:25	639:3 642:7,9	836:17
Kansas 544:24	773:14	629:24	643:6 646:5	838:19 841:2
552:15	775:18,25	650:17	648:22 650:1	841:5,11
807:25 808:5	789:7,8	651:18,23	650:2 651:7	847:3 853:17
810:7 815:22	792:23,24	694:15	652:23,24	854:1 855:21
KCPL 567:11	798:1,24	708:14	654:6 665:16	856:11,15
834:23	806:10,11	709:17	666:5 668:10	857:10,11
900:13,13	812:4,5,25	715:22	673:15,17,21	858:15
901:6 904:24	813:6,12,15	758:14,18	675:25 678:6	860:12,13,15
904:24 905:6	813:20 814:1	766:12	681:15	860:21 861:9
905:6 906:3,3	814:8,13,16	773:13	682:21	861:12,16,25
906:16,23	814:20,23	815:16	683:19,23	862:2,11
907:13	815:2,5,11,15	825:11 828:1	684:15,16,24	864:17,23
KCP&L	815:25	833:14	685:25 686:5	866:23
544:24	816:24	834:12,17	686:14 688:7	868:19,24,25
keep 564:14	817:14,24	844:12	688:8 689:18	869:8 870:20
641:3 688:9	818:8,18,24	849:21	693:14 695:8	871:6,11
689:6 798:19	829:8,9,12,18	887:15	697:23 698:2	885:5,14,25
809:11	830:1,5	894:14	700:15,21	888:15,16
855:15	831:18,24	kinds 568:13	702:15 706:3	890:2,3
873:20,21	832:5,20	643:4 686:16	708:17,24	891:12 894:5
keeping 784:19	833:1,16	808:24	715:18	894:6,11,21
810:22	846:22	836:19	719:13 720:1	898:10
keeps 820:19	847:24,25	KLIETHER...	720:2 724:21	903:12
820:21,22	848:14,18	546:7	727:4 730:5	907:24

knowing 632:19 659:11,14 842:24	802:11,17 865:2 laid 887:19,23 894:5 land 689:19,20 land's 689:21 689:22 LANGENEC... 545:12 languish 848:25 languishing 848:23 large 552:13 572:21 681:18 743:17 779:3 792:16 804:15,21,24 805:9,11 807:19,24 808:1,1 810:7 842:16 886:10 897:2 897:10,17,25 899:18 900:2 901:20,22 902:1,4 907:10 908:4	779:18 781:5 787:14 795:21 809:19 810:5 813:9 820:25 823:3 827:13 831:19 837:25,25 842:16 846:23 887:8 890:25 lawfully 557:23 laws 617:10 lawsuits 808:23 827:14 lawyer 570:13 596:12 617:7 620:2 621:25 622:9 688:12 lawyers 575:2 622:3,10 684:11 808:12 809:2 809:6,9,18,24 810:8,11 814:2,2 820:6 820:8,17 827:21 842:9 842:15 843:3 843:4 lawyer's 814:4 laying 887:15 lays 894:13 lazy 883:24 lead 553:20 569:24 584:12 590:21 658:23 659:3 876:8 912:22 leadership 582:14 leading 633:2 676:19 835:11 leads 588:8 lean 565:16	leaner 565:20 learn 568:17 learned 565:5 831:19 leave 660:9 816:25 leaves 612:5 led 823:12 left 547:21 562:18 627:22 670:23,24 727:17 761:25 851:12 legal 546:7,8 596:12 622:7 808:17 810:15,22 812:19 813:17 819:20 827:21 839:18 860:1 861:19 869:10 879:4 905:15 legislated 617:22,24 618:9 legislating 616:8 688:2 legislation 845:18 legislative 616:12 617:8 617:13 652:18 legislatively 616:18 652:14 legislature 566:15 616:5 845:1,18 legitimate 816:21 819:25 831:4	857:13,20 858:1 length 781:2 lengthy 691:25 letter 886:17 887:6 888:9 888:13 889:1 890:16 917:13 let's 595:12 602:1 652:10 655:4,25 678:11 692:2 724:16 726:17,17 730:24,25 733:12,17 744:7,9 746:16 747:9 766:23 776:7 776:21 806:19,24 807:2 838:8 838:12 864:7 864:12,14,16 864:18 884:20 896:2 908:22 level 561:20 572:15 592:17 609:11,14,19 626:12 650:15 670:11 683:3 689:3,7 724:7 744:6 765:24 854:4 858:6 868:7,8 872:15 880:17 883:20 884:1 896:7 900:21 908:2 910:11 910:12 leveled 647:10 levels 844:11
L				
L 543:17 544:10,15 labor 796:19 831:11 852:18 857:6 864:24,25 866:9,18,19 lack 606:1 621:4 644:3 688:17 718:19 888:7 Laclede 877:18 lag 549:10 572:2 574:4,6 574:8 588:16 591:6,9,14 624:22 740:14 765:1 765:2,3,8	largely 785:15 larger 699:17 812:13 814:21,23 largest 809:19 LARRY 544:20 late 699:25 840:6 883:23 Late-Filed 918:12 law 543:17 544:2,2,6,10 544:20,20 545:1,4,8,12 545:16,20,21 549:24 617:19	lawyer's 814:4 laying 887:15 lays 894:13 lazy 883:24 lead 553:20 569:24 584:12 590:21 658:23 659:3 876:8 912:22 leadership 582:14 leading 633:2 676:19 835:11 leads 588:8 lean 565:16	legislated 617:22,24 618:9 legislating 616:8 688:2 legislation 845:18 legislative 616:12 617:8 617:13 652:18 legislatively 616:18 652:14 legislature 566:15 616:5 845:1,18 legitimate 816:21 819:25 831:4	level 561:20 572:15 592:17 609:11,14,19 626:12 650:15 670:11 683:3 689:3,7 724:7 744:6 765:24 854:4 858:6 868:7,8 872:15 880:17 883:20 884:1 896:7 900:21 908:2 910:11 910:12 leveled 647:10 levels 844:11

880:3,9	761:10	835:14	560:2,21,22	886:23 887:6
leverage	762:19,20	893:12	561:5,11,19	893:6 896:11
567:20	773:5 801:8	llangenecker...	562:14	896:14 901:9
Lewis 544:6	801:10	545:14	563:13 569:1	901:12 905:7
546:1	884:18	LLP 544:6	580:23	906:2,2,3,19
lie 893:5	900:10	545:1,5	581:24	907:13,19
life 548:6 552:5	907:17	load 809:10	583:23,25	911:3 912:15
560:1,21	lineman 834:15	827:25 831:9	587:3 590:25	912:18
561:4,9,11,19	834:17	loan 785:22	592:3,11	looked 587:7
573:23 668:2	lines 584:21	lobbying	595:23 598:7	587:21,22
668:6,22	586:18 693:8	751:22	598:25 624:9	623:21 628:1
682:25	758:18,18	761:16,20	626:13 628:4	649:1 671:15
785:15,23	772:25 872:3	local 651:4	629:12,14	832:2 854:25
lifting 823:10	line's 727:18	827:7 834:8	630:20 631:1	855:24
light 544:24	line-by-line	locality 828:2	632:8 634:8	882:19 884:4
552:16	840:13	locate 718:24	638:3 639:2	884:6 897:18
719:20	linked 572:5	logic 552:20	640:8,21,22	900:18
743:13	833:13	740:6 768:14	640:22	901:10,13,23
807:25	liquidity	834:9	641:17,18	902:1 906:13
815:22	686:20	logical 740:21	644:2,14	907:11,18,18
Light's 808:5	Lisa 545:12	740:24	648:17	910:10,11
liked 699:14	873:2 874:13	781:22	651:10	911:4
likewise 611:25	874:16,20	long 553:4	652:10,25	looking 559:16
limit 555:17	916:8 918:5	568:22,22	668:19 671:9	607:1,4
623:10 885:7	list 718:11	571:9 606:7	675:16 677:8	618:25
limitations	736:6 771:24	630:23 633:6	679:24	621:12
682:22	listed 761:11	648:18	681:15	630:21
700:15	literally 756:2	657:13	694:12,13	631:25 633:5
limited 812:25	768:4 796:24	666:20	697:3 698:20	633:5,6,24,25
873:12	836:23	862:22	700:4 705:23	634:9,9,12
line 547:21	litigated 840:7	longer 587:21	706:6 710:23	640:7 642:8
548:17,19	litigation	587:23	713:14	684:2 693:6
567:15	543:24	603:12 624:4	714:22	696:7 705:24
576:13	827:18,22	645:7,12	719:21	715:23 718:8
577:10,11,25	919:6	653:16	727:17	723:6 725:18
578:1 579:22	little 547:14	667:16 741:1	729:23 744:9	727:7,19
579:23,24	552:9,10,21	747:16	748:12	728:16 730:5
586:18,19	579:17 599:1	848:25	794:19	731:9 741:16
590:1 591:5	613:18	853:25 854:2	796:23	753:4 754:10
595:6 607:4	622:13	854:15,16,23	802:16 803:6	797:22
667:6,7,7	627:15,16	854:25 855:4	815:23,24	804:12
688:5 697:18	630:2 632:18	873:15	816:2 823:18	839:14,15
727:15	669:19	long-term	824:9 831:7	853:24
743:17,18,21	680:24	647:11 668:7	841:16 842:8	870:15,15
748:15 750:3	688:15	687:1	845:1,21	871:9 899:15
750:4,5	700:17 712:4	look 552:9	853:7 854:7	900:20 901:2
759:15	743:7 830:20	557:19 560:1	867:4 883:1	905:9 906:15

looks 734:17 836:22	low 653:19 809:12	546:9	820:17	653:10
lose 819:20 841:6 852:15	810:20,23 811:19	magnitude 550:9,10	management 554:8,10	masked 587:13
869:18	lower 556:14	742:15 794:7	574:7,8	mass 890:24
loses 549:6	565:9 574:1,1	main 623:3	599:23,25	massive 566:12
losses 550:16	584:13	673:13 742:2	621:10	match 597:12
550:19	591:23 609:4	maintain 600:1	650:23 765:8	784:11
650:15	626:20,21,21	699:1 700:25	854:10 857:2	matched 757:6
lost 549:24	633:21 639:1	801:6	manager	matching 595:4
624:2 758:7	687:21	maintained	860:16	595:6,13,15
849:24	691:13 703:1	746:14	managers	595:20,25
869:22	703:10 710:3	maintenance	550:17	596:2,23
lot 557:24	713:19,21,22	574:1 738:19	managing	597:2,6 683:7
563:13	713:25	739:2,19	565:15	683:8,10
564:20	728:21	796:6 854:8	816:21	784:14
565:20	810:19	major 568:19	manipulate	796:21
620:25 631:7	907:10	568:23	708:11	material 889:7
639:8 651:1	lowered 588:19	613:16,19,22	manipulation	890:24
652:23 658:7	626:18	623:23 624:7	708:12	math 638:3
678:9 685:3	lowering 717:7	624:9 692:17	manner 756:1	656:4 668:12
686:21	749:24	majority 808:7	832:15	865:18
701:11	Lowery 544:6	making 559:12	March 607:11	mathematical
705:18	622:19	560:15 561:6	666:11	910:7,16
716:12	810:12,13	582:16 592:1	669:19	mathematica...
747:21	lowery@smit...	592:2 599:15	mark 602:1	584:12
750:21	544:9	635:13	892:13	629:25 855:5
753:13	lowest 811:4	647:13	894:22	855:10
776:19 813:5	lunch 733:13	653:13	917:15	mathematician
815:4 817:5	733:16	657:14 658:8	marked 575:11	630:1
831:2 835:9	Lynn 549:20	659:7,15	576:1,2,4	matter 543:12
835:13 838:5	575:12,18,24	670:14 683:2	602:6 787:5	592:7 646:21
842:2 844:11	654:20	687:16	787:18	693:21,22
846:5 847:17	850:10,15	699:17	874:24 888:4	694:2 795:22
856:7,8	914:6,17	730:21 747:7	892:16	810:6 828:4
887:14	916:2 917:4,6	752:20	898:20	mattered
907:15	917:7,11	756:11	902:14,19,23	906:24
lots 560:18		791:13,24	917:2	matters 547:6
701:12	M	818:9 842:7	market 610:15	mature 559:1,2
710:18	M 543:19,20	844:5,12	689:5,11,15	559:2 560:1
812:13 814:1	575:18 917:4	863:1 901:4	markets 686:13	560:23 561:5
814:2,5	917:6,7	909:22	686:20,23,24	561:19
Louis 544:4	machine 572:9	manage 565:5	686:25 817:9	562:21
545:2,13,17	828:20	568:17	marking	maturity
545:22 700:9	made-up 564:4	599:24	887:24	571:14
719:1 810:7	Madison	650:16	marshalling	McCLOWRY
828:3,3	544:21 546:2	856:23	721:15	546:7
		managed	Maryland	mean 558:16
				567:20

593:24	881:13	MEEIA 653:1	middle 612:5	636:5 652:23
598:13	meaningful	653:1 871:1	681:21	653:2 655:12
607:18	731:24	MEEIA'S	midpoint 794:6	655:16,25
615:22 617:1	means 590:8	653:2	Midwest	666:8,9,10
618:6 619:6	593:23	meet 608:13	543:24	667:4,20
624:8 627:12	619:25	653:12	809:20 919:6	668:13,13,16
628:21	638:20	723:13 809:6	MIEC 553:5,19	668:19,22
631:15,16,21	643:17	871:2 904:1	554:6,21	669:1,3,16,23
638:10,23	691:25 696:5	meeting 579:3	571:16,19	670:5,6,10
641:2 645:5	meant 602:21	600:3	572:25	671:1 673:12
650:13,18	615:16 617:6	MEGHAN	574:22 580:9	674:18,19,21
653:1,9,13,22	801:15,16	546:7	654:22	675:3,3 677:3
657:12	measurable	Meisenheimer	712:11	677:3,10,15
670:13	866:20,23	815:16	735:11 738:6	679:2,3,8
672:25	878:23	member	761:7 772:16	690:19
675:25	measure 553:3	787:14 847:3	774:10	691:10,10
682:23	852:21	891:1 893:2	776:23	692:19,21
685:23	measures	memory	783:20,24	693:3 703:3,4
689:11 691:6	557:21	718:12	784:9 785:6	703:5,13
696:19	769:16,23	mention 556:24	786:14 787:1	713:13 717:2
697:10,24	804:2	837:14	788:20	717:5,8,11,12
702:5 707:12	mechanics	mentioned	789:17	717:15,20,24
709:25	569:22	580:25 587:8	805:24	717:25
710:19	mechanism	605:9 624:2	809:18,21	719:11,11
731:20	573:7 581:11	704:10	814:20	749:22 750:2
744:17	582:17 593:8	723:23	815:20 845:4	750:6,9,15
746:23	593:12	mere 619:19	845:10	751:13,18,24
756:21,25	594:15 595:1	843:18,19	909:25	754:16
758:11 759:8	616:21	merit 555:12	MIEC's 555:11	761:12,15,18
765:20	617:23	778:14	914:18	763:7,8 784:5
767:11,18	621:22 626:1	780:22	915:18	784:6 786:8
796:2 799:16	636:12,16	811:10	Mike 733:23,25	807:10,11,13
802:5 812:16	658:18	merits 691:21	789:20	807:15,17
813:2 815:23	682:23,24	message 591:21	914:19	808:6 809:15
816:6 818:12	687:6 700:9	836:23,23	915:19	814:10
818:13 822:7	757:16	messages 594:1	917:13	825:16,20,25
830:6 839:17	793:23	method 553:16	Miller 787:14	826:2 861:10
839:19,21	839:16	methodology	million 549:24	864:4,8,11,11
843:9 844:15	840:15	896:25	550:1,3	864:14,20,22
845:8,9 854:6	mechanisms	microphone	552:18,19	865:3,4,13,16
854:18,19	592:19	722:22 769:7	572:24 607:8	865:20
855:21	593:18 595:3	861:22	607:13,14,15	868:21
856:22 863:7	617:8 618:4	microscopic	607:19	871:15,15
865:7,8	626:16	911:4	612:24,24	880:17,23
866:15 869:4	684:25	mid 810:8,8	614:2,8	881:8,9,10,12
884:3	699:12	814:2 815:4	624:12	881:14,20
meaning	median 825:11	821:21	635:24 636:2	882:12

883:14 885:2	844:1 846:14	712:13	780:14,21	914:5 915:15
896:3 900:24	847:1,6,9,11	mismanage	781:4,5,6,9	916:1
907:23 908:9	847:16,23,25	599:6	781:13,21	misstates 659:2
910:6 912:13	848:12,17	mismatch	782:14,18,21	mistake 747:7
912:14,22	849:10,16	595:17	784:15,18,25	mistaken 777:8
Mills 546:1	850:6 851:1,2	misplaced	785:4 793:16	mitigate 581:8
563:23 568:9	859:10	794:25	795:20 807:8	608:16
569:10,23	863:20 870:7	837:20	809:9 810:8,8	652:19 758:9
570:15	872:21	missed 775:9	810:17,25	mitigated
571:10 577:7	873:11	Missouri 543:1	811:23 814:2	762:6
577:9,18,24	875:24 877:3	543:9 544:18	814:3 815:4	mitigation
578:4,13,22	877:14,24	544:24 545:7	821:21 823:3	624:3,7
578:23	887:13,18	545:11,19,25	823:3 828:5	Mitten 544:10
579:13,16,25	888:1,6,8	546:8,11	856:12	810:11
580:3,13,14	889:13	547:20	878:18	Mitten's
596:14	890:16 891:7	549:20,24	886:10 897:3	810:18
600:10	891:8 893:6	551:3 553:23	898:1,5 899:1	MO 544:4,8,12
601:15,22	895:8 903:12	554:9,12	900:3,25	544:17,22
602:12,14	914:4,7,11,15	557:23 558:8	901:21 902:2	545:2,6,9,13
603:14,23	914:17 915:6	559:1 560:6	903:6 905:5	545:17,22
618:21 656:9	915:9,11	561:1 572:8	906:2 907:8	546:3,10
656:10 659:4	916:3,9	573:1 575:20	908:20	mobile 699:15
659:18 660:7	mind 740:6	581:5,7,13	909:16 913:1	718:3,18,20
665:3 667:3	757:8 841:9	583:11 585:3	917:18 919:3	719:2
671:17,20	849:23 852:7	585:25	919:15	model 797:20
674:13	864:13	586:19 591:6	Missouri's	moment 577:16
676:19	880:14	591:9 606:23	543:12 547:9	610:1 782:1
680:10 683:6	mindful 849:15	609:11,13,19	553:21	825:9 884:9
687:4 715:12	mine 627:22	610:23 620:9	554:17	886:22
716:8,12,18	mini 776:10	623:1,7	623:15	moments
720:22	783:18 807:4	624:19	627:20 652:5	547:14
734:19 738:9	850:9	636:20	723:12 743:6	money 547:20
746:20 747:3	minimal	644:21,23	767:12	549:6 550:18
747:8 762:11	562:14 604:5	650:7 651:14	776:23	559:4,12,17
765:10	minimalest	651:19	777:16	560:9,9,12,14
770:21	653:21	684:18,23	778:13	560:16
771:23 772:3	minimize	685:4 686:12	779:19 780:3	566:16
774:15 775:3	550:19	688:10 697:5	784:10	599:16
783:18 787:1	594:16	727:2 736:3	794:23	607:21 608:8
788:23	minimum	756:11,15	807:23 809:4	611:23 639:4
790:11 798:5	585:6 603:7	758:10	810:15	647:13,15
806:2 833:22	minus 679:16	763:19 764:2	811:13,17	652:24
838:11 839:1	minute 644:7	767:6,9,19	897:4 900:9	670:16 677:2
840:2,22	minutes 806:24	771:3 776:25	900:16,17	678:22
841:1,18	mischief	777:3,20	901:11 904:6	723:15 777:1
842:21,23	844:13,18	779:3,10,13	906:5 907:20	777:4,11,14
843:11,22	misheard	779:18 780:6	909:6 910:9	777:23,25

778:16,23	643:18 644:8	543:17	579:3 847:17	604:25 632:1
779:1,5,8,11	644:25 646:8	mortgage	893:2 917:15	645:11,18
779:15 780:2	646:25	780:7	NASUCA	648:18
780:13 781:4	647:20 649:7	motion 579:21	847:7,13,16	651:20
781:7,10	649:16 650:3	627:20 746:2	847:18	652:18
782:16 783:4	655:22	motions 578:8	nation 560:25	653:14
800:14 823:3	672:11,17,18	motives 798:21	national 561:2	657:12 660:4
836:3 865:17	672:19 673:3	mouth 883:24	847:4	670:19
872:3 897:18	673:16,18	movable 603:5	Natural 544:18	685:14
900:10	674:2 675:23	move 550:4	545:23	691:22
monies 673:5	679:22 682:1	577:12	nature 571:6	710:23 719:8
month 630:21	691:4,9,9,12	592:11	700:22	719:9 722:21
631:7 632:17	707:14	685:21	near 853:20	723:8 733:5
632:20 633:3	709:22	735:14 752:2	Nearing 899:10	734:13 741:1
633:25	710:21	763:3 794:5	necessarily	752:23
638:23 639:5	711:24,25	798:3 806:19	580:24 581:4	753:16
639:7,8,9,11	712:22	807:3 832:18	587:15,19	755:15
639:12 640:9	715:17 726:2	850:9 887:17	589:20 595:5	759:19 761:1
643:13	730:3 731:10	899:5 903:8	597:11	765:23
644:10,10,11	765:18	movement	602:24	767:16
644:11,12	794:20 802:8	551:19	608:12,22	789:12
645:2,2 651:5	807:16	moving 654:20	631:10	806:16,21
651:5,6	824:23 871:4	776:9	632:21 635:5	809:15
668:15 673:7	871:8,14	multiple	651:17	816:17,19
673:11,12	880:22 881:3	557:16 604:7	681:20	831:8,10,11
678:24 680:1	881:11,14	643:1 813:2	698:14 726:6	831:13 842:4
691:5,7	882:16,21,25	813:12,16,17	779:9 848:13	844:16 873:5
710:21	883:2,10,12	multiyear	863:17	893:6 907:25
715:24,25	883:13	800:6 810:14	necessary	908:14 912:1
758:6,7 786:8	month-by-m...	municipality	615:3 700:5	needed 564:13
820:25	630:21,22	838:1	766:13	624:6 689:9
monthly 666:4	715:16,18	Murray 610:7	811:14	759:10
719:24 800:5	MOORE 546:8	610:9 742:10	816:11 831:2	811:15
months 549:3,7	morning 547:3	muted 747:15	831:5 857:13	817:11,23
585:5 603:7,8	547:14	myriad 766:2	857:19 858:1	855:3
604:15,25	563:23 564:3		878:23 880:4	needing 609:4
628:18	571:17,20		880:10 890:8	614:24
632:23,23	575:14,15	N	911:11	needs 565:13
633:2,7,14,15	580:15,16	N 547:1 577:2	necessity	565:14
633:17,20,20	594:21	914:1	638:10	650:22
638:21,24,25	600:17,18	name 571:18	639:19	653:15 660:9
639:1,19,22	611:21	575:16	need 564:23	741:5 850:4
639:24 640:1	618:17,18	735:21,23	573:4 576:14	858:24
641:24 642:3	645:5 786:5	770:22,24	584:9 587:11	negative 783:6
642:4,14,15	789:25 790:5	787:11,12	591:10,13,17	negatively
642:17,17,25	874:4 882:5	874:15,17	598:2,7,25	649:20 710:8
643:1,16,17	MORRIS	888:12	599:25 600:1	711:8
		NARUC 564:8		

negotiated	712:5 714:11	655:23	853:15 854:7	634:2 638:14
810:14,15,17	716:13	693:13 694:7	854:8,9,9	638:19
neighborhood	719:21	696:4 710:1	863:23	640:21,22,22
630:23 669:4	738:20 739:9	711:3,4,20	normalizers	641:14 666:8
750:15	739:11,15	714:9 725:11	725:15	667:5,6,7,10
neither 569:23	755:9 756:20	756:10	normalizing	667:17,22
671:4 835:7	776:9 785:12	normalization	676:15 852:7	668:1,17,18
net 639:7	795:13 796:5	701:22,24	normally	670:9,23
669:12	796:7,7,8	709:19	751:10 901:2	671:3,3
744:11	797:12,17,19	719:22	912:20	675:17
802:20	801:20 802:1	720:14 724:3	North 545:2	676:11
805:12	802:20	754:5,7 762:1	NOS 575:10	677:12
neutral 786:24	804:24 805:8	854:24	580:6 738:1	679:15
837:24 838:2	807:16 810:5	865:14	772:11	680:11 694:6
889:21	813:8 837:12	normalizations	note 660:11	694:7 695:17
never 549:9,13	872:3,3,12	643:5	808:5 826:9	717:21 727:5
549:18 554:2	878:17 880:3	normalize	837:16	730:5,20
564:19	880:9	643:8 710:5	noted 658:16	747:2 749:8
584:12	newly 553:13	719:23 725:6	912:18	750:17 751:5
595:21 606:6	553:17 574:5	729:20	notes 629:14,15	751:13,22
606:17 612:8	NOL 776:4,10	741:19	784:9 919:12	752:1,24
612:9 617:4	915:12	751:16	notice 835:11	753:4,18,22
624:19	non-account...	752:25	839:3	753:24 760:8
646:12 682:2	570:13	754:11 852:2	noticed 826:3	762:13
717:24 766:7	non-confiden...	852:8 853:1,8	notion 579:16	765:15 766:2
779:21 839:8	576:11	853:12	591:14	787:20
847:18	non-construc...	854:12 855:7	630:11,17	794:20 813:1
849:23	651:9	863:23 867:8	631:13 659:5	813:3,5
859:21,22	non-labor	normalized	816:25	825:21 857:9
864:13	796:19	638:18	832:21	857:10,11
879:21	non-recovery	642:19 643:4	837:19	863:6,9 865:9
887:20 891:9	585:7 606:5	671:25,25	889:16	865:15 908:6
904:1	615:7	672:4,8 678:4	notions 832:8	908:7,12,15
new 549:5	non-revenue...	679:18,20	November	908:24 909:5
551:23 552:2	583:15	680:2,6 696:8	751:15	909:12,15,18
553:19 554:2	743:10,14	696:17	NP 576:1,3	909:20,24
554:5 559:3,4	744:9	697:15,16	577:2 736:10	912:23
559:4,10,11	non-weather...	702:1,1,11,11	736:24 771:9	numbers 621:1
559:22 560:4	673:23	702:12	772:2,4,5	629:13 630:1
573:21	675:22 676:2	703:14	850:20	632:2,2
574:15,16,17	679:18	705:11	nuclear 552:14	633:11
574:19	703:15,17,21	709:20	589:14	655:21 673:8
583:22,22	705:3 726:22	710:19 724:7	808:22	676:24 677:8
584:18	norm 646:3	726:19	number 553:2	677:20 693:6
614:21	normal 571:8	729:24 730:8	555:17 602:4	710:14
616:25	615:20	730:11 732:8	607:10,12	712:23,25
651:10 708:8	649:23 653:5	754:2 853:2	623:10 632:1	713:2 720:19

723:4 728:16	895:21 899:8	875:12	570:10	722:9,12
728:17 732:2	903:11	888:20	571:16	724:3,9,22
732:7 750:2	904:14	offered 577:6	576:10,16,18	726:5,16
759:9 765:22	obligation	577:20	578:12 580:1	727:1 728:1,3
765:23	550:20	601:20,21	584:1 586:17	729:4,22
771:25	797:21	602:10 734:3	589:25	730:7,24,25
852:14 856:5	obligations	737:16,19	593:21 595:3	731:11 734:8
863:8 876:14	804:12	743:13 772:7	598:5,23	734:12,16
905:7 907:15	observed	777:21	600:10 601:6	740:6 742:16
numerous	580:25 800:6	788:13 792:3	601:11	745:14
777:5 778:1	obtuse 630:2	799:6 850:17	604:14,22	747:14
809:18 810:2	obviously	875:13 899:7	605:5 606:3	748:16
nyms 847:13	554:5 592:21	903:10	606:25 607:2	757:10
	655:19,21	offering 791:9	608:14	760:19
O	677:8 681:18	791:22	609:15,18	761:21
O 547:1	689:1 700:10	offers 765:8	610:6,9,19,22	762:24
oath 576:24	707:9 710:9	778:1	611:7,9,16	764:25
788:7 789:18	780:9 846:5	office 546:1,4	622:22	767:24
805:19	856:23	567:9 569:5	625:14	771:23 776:2
850:13	occasion 611:2	771:3 821:1	627:11 628:4	793:5,22
object 553:7	occur 595:24	844:23 848:3	628:11 629:4	799:11
596:11 659:1	744:12	850:4 919:14	630:4 635:14	805:23
666:24	864:25	officer 860:12	637:6 643:14	817:24 825:5
676:19 765:4	occurred	868:8	647:4 655:1,2	826:22 851:1
877:1 887:13	632:23 678:5	officers 858:6	655:6,11,24	851:3 859:1
887:18 894:4	719:2,4	officially	656:16	860:8,23
objected	751:14	847:20	665:17,20	861:7,13
688:13	754:11 767:3	offset 552:5	666:6 670:25	862:25 864:4
815:10	863:12	639:1,1	671:6,12,17	864:7,9,15
objection 577:8	occurrences	712:18 739:6	672:2,13,23	865:12
580:2 603:15	753:1	760:14,16	675:2,21	867:21
659:13	occurs 549:16	761:23 783:5	676:4 677:16	869:16
676:21	553:15	797:12	679:10,17	872:17
877:13 888:7	605:22	offsetting	689:16 690:7	876:24
891:7 893:5	609:10	551:13	690:13,16,18	912:20
895:4 899:9	801:18	606:16	691:14	old 645:18
903:13	October 543:8	669:10	693:11 701:6	738:19 796:4
904:16	642:7 751:15	760:10,15	704:9 705:1	796:5 797:18
objectionable	offer 577:1	off-system	706:20	801:20
797:25	601:24 602:8	743:20,23	707:20 708:2	802:21
objections	621:2 737:12	oh 625:13	709:7 712:8	Oligschlaeger
553:5 555:11	737:13 772:4	644:7 646:13	713:3,17,21	885:22 889:3
577:6 602:11	775:14,15	727:23	713:24	889:8,15
603:17	778:9 788:9	836:12 839:8	715:24 716:8	892:25
737:21 772:7	791:6,14	okay 548:17	717:16	894:10,22
788:13	793:12	556:19	720:13,17	895:10,16
875:14	798:22	569:16	721:19 722:5	917:15

Oligschlaege... 895:12	opened 823:18 823:25	553:21 779:4	oppose 571:25	original 635:14
Olive 545:21	828:16	operational 799:20	opposes 561:12	749:14
once 548:18	833:25	operations 544:24	563:25	originally 697:24
568:20,21,21	848:21	634:10,13	opposing 574:23 579:7	752:14
592:4,10	opening 547:7	635:7 719:16	optimal 585:25	ought 631:3
593:15	547:9 558:20	738:18	586:2,2,3	812:23
611:25 681:5	563:1 566:20	739:18	591:10,17	827:21
681:8 703:1	580:25 587:9	opinion 606:3	optimally 599:16	834:19
740:11,11,25	587:18	626:24 627:4	optimize 687:23 765:9	835:23
755:4,12	594:22	635:16	option 687:3	outages 718:19
778:19,21	601:20	636:14	764:16	outcome 818:15,16
780:9 795:16	615:25	683:12	options 581:3,5	outcomes 652:4
797:11 801:7	622:16,19	725:11	778:1,3 792:4	outlier 632:5
839:23 862:5	623:4 742:1	760:23 765:1	order 562:19	907:6
ones 581:15	782:5 783:18	773:1 792:11	562:22	outpacing 564:13
702:8 705:24	825:7 840:16	793:8 799:6	578:10	outside 552:9
716:13	842:9 876:1	810:10 823:8	591:18 592:5	552:10
723:23	914:3,3,4,4	882:9 890:14	592:6,8	666:25
729:25	915:13,14,14	903:4 908:1	596:19,22	688:21
861:17	915:24,25	opponent 579:6,15,17	597:6 604:25	808:12 809:9
one's 621:5,14	917:9	838:4 889:17	612:10	809:9,21
705:21	openings 575:5	889:18	614:25	810:4,10,24
one-time 703:13 714:8	776:10	opponents 579:18	616:15 617:8	832:19 835:5
729:13 732:3	786:18 807:4	opportunities 804:11	638:19,25	836:4,4 879:4
753:1 754:16	850:9	opportunity 554:13	650:10 651:1	879:13
one-word 812:12	opens 682:20	555:16	673:2 674:1	896:21,21
one-year 572:19	open-ended 573:6	604:23	677:1,5,20	901:7 905:18
ongoing 642:10	operate 565:22	614:13	678:14 693:2	905:19
650:7 910:11	566:19 592:5	619:24	693:16	906:16,17,23
910:12	594:1 680:24	635:19 636:2	721:16 723:8	906:25
OPC 772:11	684:19 890:3	636:3,10	724:11	909:15,20
815:18	operated 648:4	652:9 685:19	741:12 759:6	910:1 911:5
846:11	operates 566:18	687:21 716:9	781:4 824:4,9	outstrips 815:12
OPC's 814:17	831:11	755:24 756:8	843:21	overall 674:8
815:12 915:8	847:17	777:21	851:11 852:4	686:8 791:22
918:6	operating 574:1 601:13	793:16	862:10,12,14	793:15
OPEB 620:24	791:19 796:9	797:21	863:5 897:3	801:24
OPEBs 620:17	800:12	799:22 805:2	898:1 900:3	802:19
688:16,21	811:14	845:7,12,24	ordered 732:16	805:10
689:12	857:20	878:12,16	811:20	865:10
open 823:9	operation 549:23	892:2	orders 596:9,9	880:23 896:7
824:5 839:5			845:24	overbuild 594:11
839:10			organization 808:2 847:16	

overcome 587:13 588:5 606:14	731:25 over-incentiv... 593:22,24 594:10	884:14 887:6 893:7,17 pages 576:13 590:11 607:2	743:12 748:4 750:2,2,3 755:23 756:9 756:10 777:2	890:4 892:9 896:4,8 910:7 particularly 584:20
overearn 615:23 630:25 631:2 711:25	over-investm... 682:21 over-investm... 594:14	660:13 887:7 888:19 889:2 890:20,22 paid 732:16	791:22 803:21 804:1 805:3,11 820:23	632:20 684:6 754:23 795:20 816:11
overearned 588:21 632:11	over-recover 863:25 over-recovered 865:8	781:3 785:22 791:3 800:20 812:23 826:11,14	822:14 852:15 865:4 866:16 869:4 869:6 891:6	868:18 parties 566:25 571:24 744:22 777:7
overearning 615:17 631:4 631:9,9,11,18 631:20 632:5 694:20 721:8 752:16 765:25 766:5 767:2,12,17 767:21	over-recovery 865:22 ownership 776:16,22 779:17 791:4 owning 779:4 owns 780:3 O&M 553:20	827:21 835:19 842:11,11 884:7 panel 564:8 paper 643:15 644:7,25 910:17	897:12 900:6 900:7 906:21 909:19 910:20 912:9 partial 891:10 partially 759:4 759:5 participate 577:14 778:2	778:11,14 779:20 785:8 786:23,25 809:16 810:2 815:20,21 816:16 845:3 873:9 partly 831:15 831:15
overearnings 560:13 766:17	553:24 554:4 554:4 573:22 573:24 574:2 620:17	papers 886:17 paradigm 551:24 566:19 585:1 591:16 685:10 794:2	842:18 participates 808:2 particular 557:1 570:10 581:15 582:17	parts 629:14 party 579:6,15 579:17 837:24 859:1 889:17,21 pass 647:25 859:6
overestimate 912:18,20	738:23 739:5 739:6,11,23 740:2 796:6 o'clock 654:16 874:7	parameters 657:15 paraphrasing 697:15 Pardon 724:18 891:23	599:21 601:17 606:10,12 612:16 624:9 643:3 695:25 711:21 716:4 718:17 721:17,17 758:20 763:18 796:23 802:17 819:14,15 837:1 838:1 841:12 843:11 845:11 861:5 865:8 885:7	passed 547:18 818:20 path 866:15 patience 636:22 pattern 796:24 871:12,13,14 pay 565:20 584:17 600:24 678:18 696:18 777:5 777:13 778:23 779:1 779:6,8 780:19,21 781:17,22 782:1 784:25 785:3 786:6
overestimated 826:4				
overinvest 598:20				
overinvesting 683:5				
overly 786:2	P			
overrule 659:12 877:12 892:3	P 547:1 917:21 917:24 918:1 918:3 package 791:23 page 576:11,12 577:10,11,23 577:25 578:1 579:22,23,24 581:22 583:6 583:7 584:20 586:17 590:1 590:13 591:4 607:4 628:4,5 628:5 675:17 748:12 858:19,22,23	parent 782:14 part 551:17 561:18 564:12 565:10 571:2 601:7 608:16 614:15 632:6 646:19 651:24 652:10 653:9 654:9 655:17 659:22 675:1 678:20 691:21 714:9 721:2 740:14		
Overruled 596:13 765:6				
over-collect 620:21 852:17				
over-collected 852:11				
over-earned 641:15 645:15 711:13,21 726:1 865:7				
over-earning				

801:25 805:6	822:12 827:8	572:19 585:4	731:13 732:4	855:13
816:8 817:21	836:14,16	586:24 587:3	732:15 753:9	856:24
820:14	839:21 845:9	587:22,23	754:18	868:16,17
831:13	891:14	595:16,19	758:10,11	919:7
834:13,15	percent 572:19	596:5,6	767:3,22	perspective
843:14	572:22	602:21,23,25	794:12,21,24	548:15
857:19,22,25	576:15 612:9	603:2,4 604:3	795:7,11,15	586:10
858:4 866:2,6	639:22	605:5 607:11	795:16,23	594:13
866:11 867:2	647:21 652:6	611:20,22	800:6 801:9	595:11 597:1
869:19	652:7 667:8	612:5,21	803:2 853:16	599:9 632:9,9
896:16	667:16	620:1 624:15	853:21,23	632:22
paying 612:7	670:15 676:3	630:6,16	854:2,3,11,12	637:19
827:9 835:16	676:4,5,6	631:8,10,16	854:15,15,19	640:23
837:18	689:18	631:17,22	854:23,24,25	645:13 652:2
843:16 901:3	698:13,17	632:10,25	855:8 866:10	681:13 682:3
payment	726:9 727:4	633:6,13,23	881:11	697:3 702:16
732:13 778:6	727:13 728:3	639:12,14	periods 572:3	716:23 763:9
804:12 805:1	729:8 731:11	640:4,5,6,13	603:1,9	persuasive
pays 612:9	748:20 752:1	641:4,14,14	606:11	811:6
778:4 784:21	766:15	641:15,19,19	615:21	pertained
834:18	811:16	641:21,23	620:23	751:11
peak 809:6,10	816:23 819:5	642:4 643:2,3	623:25	pertains 577:20
peaks 639:16	820:20,20	645:3 647:3,5	630:24,25	pervasive
642:23	821:9 826:5,6	647:10,12,18	631:2,4	712:4
pending 751:24	832:12	647:19 648:2	640:10 642:1	perverse
766:25 767:7	838:10	648:10,20	642:2 648:25	554:10,14
767:21 839:5	864:24	653:17 655:7	649:12 678:7	phenomena
pennies 648:9	912:21	655:8,18	679:25	802:18
654:1	percentage	666:15	694:14,14	phenomenon
penny 612:23	674:7	668:25 669:6	706:13	610:12
648:9 651:5	perfect 766:1	669:18	707:12	Phoenix 545:12
pension 620:17	perfectly 802:9	670:11 673:1	800:10	phone 843:1
620:24	811:3 837:3,3	673:14 674:2	permit 553:12	873:5,7
688:16	perform 723:9	674:3 677:4	permutation	pick 697:1,1
689:14	836:10	678:5,16,17	814:5	853:15
pensions 620:9	performance	678:21	permutations	picking 797:24
621:2,10	561:14	681:22 684:3	813:21	865:15
688:20	689:11 823:9	692:1,3,6	persistent	picks 615:8
689:12	performed	694:13 707:8	549:16 692:5	696:22,23,24
people 563:14	862:13,24	707:17,18	793:14	pictorially
564:8 578:8	performs	710:2 711:7	person 582:11	706:11
609:24 610:4	834:17	711:21	861:14,16	picture 883:17
646:13 651:4	period 548:8,8	712:15	personal	piece 638:16
747:14 814:5	548:15,16	715:21,25	829:22	643:15 644:7
815:17,19,19	549:7 550:13	723:2 724:6	895:12	644:25 653:3
815:20	550:22	725:1 726:10	personally	669:14
820:11	555:24 559:5	729:1 731:9	720:1 757:18	705:12

740:17	567:11 589:1	589:14	781:22 793:3	563:12
743:22	589:9 647:14	590:14,19	795:7 798:24	565:12,14
759:10	648:18 743:3	591:11,13,18	799:15,19,25	566:10,12
763:15,19	776:16,22	591:21	800:21,24	571:6,13
764:10	777:22,22	592:18 593:4	801:7,10,11	573:12 585:9
792:16	778:2,6 791:4	593:11,13,15	801:20,20	592:24 593:3
797:13	791:9,14,20	594:25	802:10,15,21	596:2,3
pieces 875:8	791:22,24	600:21	803:22 804:9	599:23
pinpoint	798:14,19,22	601:12	804:14,15,17	600:19 612:3
866:23	821:23 874:6	607:17 608:3	804:18	619:20
PISA 556:15	planning	612:17,20	805:12	621:16
573:2,4,7,13	575:22 826:7	614:12 615:9	818:13,16	630:20 631:3
573:18,20	856:17	618:25 619:8	829:19 831:8	632:10 640:8
574:4,10,13	plans 659:19	619:14	854:8 914:2	641:1,3,4,8
574:17,23	778:9	620:16	plants 554:4	644:18,19
691:22 756:4	plant 547:5,8	621:11,14	812:15	645:14
790:5 793:13	547:11,16,22	622:5 623:16	plant's 755:4	648:11,15,16
794:24	548:3,4,6,7,9	630:14	756:19	649:24,25
802:10 851:4	548:12,14,15	635:15 636:8	795:12,16	651:7 654:2
place 553:14	548:18,21,24	636:11	play 648:1	660:11
599:22	549:4,8,14	640:25	837:24 865:2	683:22 687:2
624:15	550:1,2 552:2	644:19,20	900:23	687:6 691:16
645:21	552:3,8,10,14	645:13	plays 649:18	691:17,21
648:22	552:15,23	651:24 658:4	please 547:10	692:11
650:21	553:7,12,13	658:18,22	558:22	711:18 716:4
653:10	553:17,20,25	659:6 668:22	563:23	718:23 735:9
667:14 681:1	554:1,7,19,22	670:4,6	571:17	737:11
681:14,17	555:3,8,11,13	680:11 682:5	575:16	740:10 741:4
684:25	555:22,25	682:13	660:10	742:14
699:12,18	556:10,25	684:16 685:2	733:18	754:24
719:2,6 816:8	557:4,7,11,12	686:1 688:1	735:15,21,24	756:13
834:25 919:9	558:24	698:25 699:6	770:23	757:10 763:5
919:13	561:12 562:2	738:16,19,20	776:13 782:7	763:18
placed 573:13	564:1,3	739:7,9,10	783:22	764:15
573:15	566:22 568:2	740:3,7,9,22	787:10 807:7	765:15 779:8
584:22 585:1	571:22	740:23 742:3	825:9 833:22	795:5 800:17
585:8,10	573:13,15,21	743:2 748:5	874:11,15,18	801:11 814:5
600:25 612:1	573:23,25,25	754:23,25	884:15,19	818:14
612:6 613:5,6	574:5,11,15	755:8,19	892:14 902:8	820:13 835:2
666:11,14	574:17,19	758:5 763:15	pleasure	835:21 838:1
681:8 684:3	577:21	763:19,21,22	636:23	839:11,11
755:4,19,22	580:18	764:5,10	plenty 560:9	841:12,22
796:1 797:5	581:22 582:3	768:16,18	plowing 837:12	863:6 887:14
797:11	582:5,13	770:5 772:24	plus 710:10	891:20
places 557:5	583:14	772:25	751:24	907:25
placing 681:24	584:11	774:22 775:6	point 553:23	pointed 587:17
plan 560:12	585:11	776:3 781:5	555:9 563:2	588:25

606:10 645:8	640:17	807:25	797:24	714:12 856:7
645:8 761:21	710:15 711:5	810:23	prefile 578:8	887:21 910:5
833:25	750:10 757:3	815:22 853:6	prefiled 572:14	present 709:13
pointing 844:5	777:21	possibly 889:23	576:19,23	835:4 845:7
points 572:2	782:20	post-employ...	787:17,20,21	845:15 919:7
640:3,9	784:16	620:10	788:2,6	presentation
641:16 647:1	829:23	potential 608:8	preliminary	822:8 878:24
649:2 671:2	portions	738:18	885:21	892:23 893:1
673:8 679:9	624:10	844:18	premise 591:24	893:18
679:10	position 552:17	907:23	594:24	894:10
690:23 691:5	592:22 593:3	potentially	601:10	917:15
691:5,13	619:4 623:15	587:13 822:5	630:18	presented
695:18	632:5 645:17	822:6 844:19	645:14	579:2 590:2
718:11 726:5	708:11	860:22	670:13,15	692:1 808:8
748:22 750:8	778:13	power 544:24	681:10	822:20 836:5
754:17	786:22,23	552:16	694:16	845:17
762:15 763:4	808:10,15	589:14	794:17	894:24 909:1
763:7 793:18	825:12,13	678:15,20	premised 572:1	presenting
844:21	829:24	743:18	591:14 659:4	849:18
845:20	831:20 832:6	807:25 808:5	premium 686:9	president
pole 589:15	833:5 840:23	815:22	preparation	575:22
681:20	841:3 842:3,7	practically	736:15	856:17
poles 550:11	845:14	679:13	878:24	860:14
872:3	846:10	practice 717:8	prepare 602:15	Presiding
policies 645:24	847:14,20	practices	629:10	543:17
policy 562:8	852:10 859:5	685:16	644:13	pretax 677:15
569:19 572:6	859:8 863:22	823:19	659:23 697:7	717:4
573:19 645:6	864:4 865:12	practicing	697:11 736:4	pretends 677:2
645:10,22	866:9 867:8	808:16	prepared	pretty 558:16
685:20	877:5,20	preceding	627:17	639:3 649:9
795:23 816:8	879:17,20,21	693:9	632:18 634:7	651:3 658:1
818:1 820:22	880:16	precise 588:23	637:20	676:7,9
821:23 832:1	882:11	794:7	665:24	700:10
832:8 838:20	884:24 891:4	predate 699:25	692:21 697:9	816:17 830:6
838:24	895:13	predicate	698:1 706:14	843:9,9
840:15	905:11	625:16	706:16 721:6	853:16
844:10,12	positions 787:2	630:13	725:10,12	prevail 827:22
846:4	822:12	predict 564:18	736:5 752:7	864:7,10
poor 573:18	847:17	573:5 725:13	775:22	prevailing
population	possibility	725:14	874:21,21	828:1
551:19	636:8 657:22	predictable	892:24	prevails 864:12
portfolios	658:3 688:1	657:5	894:22	previous
784:12	possible 584:2	predictions	895:10	610:23
portion 555:2	593:21 594:9	648:1	prepares	647:12 649:3
568:4 577:18	594:17,18,19	predictive	665:18	786:15 815:9
603:5 623:23	643:8 687:23	866:5	preparing	876:1 897:5
627:21	739:4,13,23	preferential	610:25	previously

615:6 616:23 621:23 714:7 804:6 price 792:10 prices 830:14 primary 671:24 791:24 principle 556:8 595:4,6,14,15 595:21,25 596:23 597:3 597:7 683:7,8 683:10 868:14 principles 597:10 880:14 prior 572:2,17 573:4 582:16 611:2,4 694:14 806:23 835:10 840:5 840:8 868:10 876:25 877:16 882:15 883:1 908:24 909:1 909:6 privilege 822:6 822:9,17 823:11 827:9 840:12,21,21 841:5,8 842:1 842:4 843:8,9 843:21 privileged 841:20 843:4 843:8 pro 562:1 743:6 proactive 685:20 probably 572:13 588:22 603:4	625:15 627:16 631:8 654:9 660:2 677:14 685:1 711:1 714:12 715:5 719:9 722:2 730:13 760:20 773:22 792:16 793:7 815:6,7 817:25 838:21 869:6 869:12 873:14 problem 547:15,19 549:19,20 550:9 551:9 552:13,17 557:20,21 563:12 581:1 581:4 587:11 608:16 611:14 616:16 617:6 624:22 648:24 651:18,25 652:19,20,22 712:3 725:24 726:13 728:11,12 733:10 743:12 755:23 756:9 766:17 781:12,16 794:25 797:2 797:5 803:2,4 803:12,13 822:17 840:11 problematic 579:17 problems 728:6 728:11 796:6	Procedurally 707:24 proceed 747:19 892:9 proceeding 709:11 810:3 838:14 proceedings 543:6 844:24 845:2,6,19 879:14 919:8 919:11 process 550:4 558:25,25 563:15 565:4 566:8,15,25 567:8,18 569:1,12 581:7 588:5 594:20 603:7 604:17 605:21 612:4 616:24 630:19 694:9 801:19 802:6 803:3 810:2 820:15,23 822:14 834:19 835:8 838:18 846:3 848:2,4 852:1 856:23 863:7 865:14,23,24 878:18 897:3 processes 563:7 820:7 834:25 produce 574:10 836:13 produced 894:9,22 produces 551:4 production 804:14 profit 565:6,8 830:15,16,16 830:19 831:1 profits 778:22	program 557:16,17 progress 601:4 776:19 781:1 781:3,8,14,18 781:20 782:12 783:1 785:12,20 prohibit 683:4 764:4,7 prohibited 616:14,18 618:5,10 prohibition 688:6 prohibits 600:20 904:9 project 552:19 552:21 553:16 558:17 568:19 589:11 599:21 860:16,18 projected 557:22,25 897:5 projects 547:20 551:14 552:1 552:13,18,22 554:14 557:14,17 558:18 566:24 568:23 570:3 571:6 583:2 603:11 604:6 604:7 616:24 690:1 699:5,9 699:13 700:21 781:11 promising 734:14 promoting 636:19	promulgated 847:19 pronouncem... 838:25 846:4 proof 841:13 841:23 843:18 proper 852:4 properly 702:15 840:12 property 779:19 804:18,19 913:9,9 proportion 782:15,17 830:23 proposal 553:6 553:9 555:22 556:1,5 557:4 561:15,16 562:3 569:7 571:20 572:1 573:14 574:3 574:13,18 582:14,16 583:17,18 584:1 585:12 656:23 681:11 685:2 738:17 740:17,18 742:7 743:5,7 743:12,16,22 743:25 773:12 780:5 781:17,18,21 785:9,12 790:5 884:25 proposals 837:13 propose 556:24 808:11 proposed 557:1 566:15 573:1 580:20 581:6
---	--	--	--	---

584:11 684:1	554:10 561:8	804:3 827:17	680:21	755:10
722:7 780:22	602:2 635:18	prud 822:15	715:11	780:20
798:13	657:19 695:7	prudence	734:17 736:3	834:14
825:25	697:22 701:2	597:15,19,20	738:8 762:10	purposeful
826:13	701:15	597:21 598:3	770:15 771:2	869:8
proposes	708:21	598:7,25	771:3 783:17	purposes 634:4
578:13 784:4	785:21	599:2,10,14	786:21	648:3 712:19
825:16	797:21	599:20 600:5	788:22	719:22
836:20	798:13	600:7,7,8	790:10 798:4	720:14 752:7
proposing	802:19	756:5,8	806:1 808:10	752:19
557:13	807:21	816:10 820:3	821:1 825:13	753:17,21
558:11 613:3	810:12	820:3 822:2,4	825:14 827:7	754:6 785:15
619:10	829:13,20	822:5 823:5	827:13 828:4	785:19 786:1
783:25,25	841:19	835:23 836:8	831:19 832:8	804:6,16,20
784:2,6	848:10,14	840:9,19	833:19 834:8	804:21
proposition	849:13,22	841:7 843:21	836:1,20	pursue 660:6
557:24	872:12	883:18,24	837:25 839:3	purview
829:16	878:22	884:24	844:23 845:6	617:12
868:25	888:18	prudence	845:13,15,16	push 743:18
prosecute	890:19	822:16,19,22	848:3 850:4	873:23
813:13,21	903:23	884:4 901:4	850:25 859:4	pushing 874:4
814:17	provided	901:11	870:6 875:23	put 549:8
821:16	551:11	907:20	885:6,11	555:22
846:12	553:22 629:2	prudent 755:25	published	571:14 584:9
856:21	629:5 632:13	809:4 810:25	848:10 904:1	585:5 593:5
896:21	642:16	816:7,21	pull 577:17	607:15 609:2
prosecuted	690:20 695:9	822:8 836:15	638:13	612:1 614:5
816:5 819:19	738:23 811:6	837:3 878:13	714:14	622:13 625:2
prosecuting	886:7,9 889:2	884:23 896:3	pulled 638:12	632:22
816:22	890:24	896:15	670:22 714:5	637:24
825:18	892:21 894:7	prudently	714:6 723:25	640:23
868:22	902:24 903:7	599:5 820:17	749:16	648:22
prosecution	provides	841:4 852:24	pulling 714:8	652:14 653:9
819:14	550:24	878:24	purchase	669:14
prospective	554:14 574:7	879:15 884:5	689:22 778:3	699:16
724:12	614:12	896:20	792:7	702:14 703:5
prospectively	700:12 778:7	public 543:2	purchased	703:8,8
801:5 803:13	795:23 830:2	546:1,1,4,5,8	678:15,20	706:25 707:1
protection	830:7 833:12	546:11	780:8	717:9,17
747:17	providing	551:10	purchases	719:6 741:6
prove 573:3	600:2 657:15	563:21,25	689:22	742:7 756:13
836:8,14	700:3,23	564:7 569:6	purely 848:8	758:15
840:18 841:4	723:7 817:16	580:11	purest 595:23	768:18 781:9
841:7 843:15	817:21	582:24	purportedly	781:12
843:21 844:7	provision	589:21	891:1	825:17 826:6
proves 841:11	611:22	635:11 651:4	purpose 592:23	844:17,21
provide 550:20	provisions	656:8 680:14	722:7 752:18	845:3,4

HEARING 10/1/2012

854:21	569:5,7 571:3	817:25 818:3	725:20	868:3,4
855:21 856:3	571:4,5,11	820:3 821:23	732:20	869:25 870:2
863:1 865:1	578:6 583:6	822:1 828:20	734:11,19,21	870:5,8,10,14
866:4 872:3	587:20	830:9 838:16	734:23,24	870:18
puts 855:22	594:25	838:23 846:2	735:1,3,8	871:17,19,20
putting 548:11	602:12	849:4 877:15	737:4 738:7,9	872:18,20
589:14	603:23 606:4	881:7 884:17	741:22,23,25	875:4 876:1
635:22	613:25	884:18,19	742:19	877:24
654:11	615:18,19	901:8 902:6	743:24	885:21 887:3
740:15	621:2 622:1,7	910:16	744:25 745:2	887:14
756:16 757:1	626:20	questioning	745:11	891:11 892:2
840:20 857:3	635:14	688:5 692:13	747:24	911:12,14,22
872:12	645:23	761:11	748:11	911:23,25
P.C 544:10	648:12	775:10 851:3	757:20,22,24	912:7 913:4
P.O 544:3,7,11	655:24 659:2	questions	758:1,23	914:8,9,9,10
544:16 546:2	659:4 667:1	555:20	761:7 763:14	914:13,13,14
546:9	670:20	556:20	763:16 765:5	915:3,4,4,5
	673:10	561:22,24	765:15 768:9	915:10,10,20
Q	677:25	563:16,20	769:10,13,13	915:20 916:4
qualified 550:1	682:11	575:1 576:22	771:11,16	916:5,6
820:10	683:10	600:10	772:15,17,19	quick 555:21
quality 610:11	684:15	603:15 611:8	772:20,22	556:22
810:12 820:5	689:17 695:5	611:10,12	773:17,20,24	567:24
820:8 849:21	695:24 698:2	618:16 625:4	774:7,9,11	700:17
quantification	698:23,24	625:6,14,16	782:4 783:9	786:20
742:12	701:14	629:22	788:5,21,23	811:22
793:12,17,19	707:22 711:2	632:16	788:25 789:2	845:25
794:7 799:8	716:9 718:1,3	636:22,25	789:3,6,8,10	911:21
quantify 742:6	718:6,13	637:2,4 645:6	790:5,11,13	quickly 550:21
742:9 757:14	719:18	654:17,21,25	790:19,20	550:22
793:25	724:18	655:5 657:1	792:21,24	566:16
797:22	740:20,21,24	657:21,24	793:2,6 798:3	700:17
quarter 649:19	746:11	658:2 666:25	799:1,24	708:25
710:7 717:15	754:22	667:5 674:13	803:16 806:2	775:17
quarterly	763:23,25	674:18 675:6	806:4,5,7,9	838:14 907:5
634:23	765:1 767:4	680:11,17	806:15,16	quite 588:14,22
665:22 666:2	768:13 773:7	683:6 684:10	811:21	607:14
query 873:3	774:17,18,20	687:8,10	818:25	611:21
quest 625:10	775:16	690:4,6,10,11	821:24 827:3	686:18
question	783:24	701:9,12	828:13,15	708:16 736:6
551:11	786:21	703:23	833:17 834:4	827:12
560:25 561:2	791:15	704:23	836:17 838:7	840:10
561:4,19	798:15,17	709:16	838:8 846:17	896:24
562:7,8,9,25	799:17,18	712:11	849:23 850:3	quote 807:19
563:10	802:22	715:14	859:10 861:7	876:13
565:11	811:22 812:6	716:13 718:8	863:3 867:11	
567:25 568:1	812:12	720:12 721:3	867:12,14,25	R

HEARING 10/1/2012

R 546:1 547:1	604:11 605:6	766:24,24	829:19,24	880:21,25
919:2	605:21	767:1,3,6,7	830:9,13,24	881:2 882:14
rabbits 884:21	607:11,22,25	767:19,20	831:4,5	882:14,15,15
radically 568:5	610:23 612:1	768:19 769:4	832:12 834:6	882:19,21
rain 834:15	612:17,21,25	770:3 780:21	834:13,18,23	883:14,19,20
raise 553:5	613:2,7,9	781:11,12,23	835:12,22	883:25 884:1
733:18	615:14 618:1	782:8 783:5,6	836:20	885:1,8 886:9
735:15	619:19,24	783:12,16	837:13,15	890:11 896:3
834:14	620:23 621:8	786:2,9,15,16	838:18 839:4	896:6,8,22
839:12	623:5,8,11,17	794:10,20,23	839:8,16	897:3,5,14,15
874:11	623:22,25	795:20,22	840:3,4	897:21,22
raised 594:25	624:13,20,23	796:12,13,15	842:11,17	898:1 899:22
783:24 836:7	627:5 640:12	797:4,7,24	844:25	899:23 900:2
raises 866:11	640:14,14,17	799:22 800:2	846:18,20	900:21
raising 839:14	640:18	800:5,8,12,14	847:14,19,20	901:11,21,22
raking 560:17	648:19,23	800:15,16,17	848:5,15,24	902:2,3 903:5
ramifications	649:4 650:8	801:12,17	849:2,15,18	903:16
700:11	650:20 651:2	802:7,9,15,23	849:20 850:9	905:24 906:5
739:23	651:9,12	802:24,24,24	850:18 851:5	907:7,8,20,24
ran 766:9	652:4 654:4	803:1,6,10	851:10,16,18	908:2,2,17,24
range 794:4,5	657:23 658:8	805:10	851:23 852:9	908:25 909:5
907:3	658:12,14	806:19,23	852:17,21,22	909:6,11,13
rate 547:4	659:15,20,24	807:3,9,12,13	852:23,25	909:16,25
548:3,5 549:3	669:9,12,13	807:16,18,23	853:6,13,18	910:3,6,9,12
549:22	669:22 670:4	808:3,6,6	853:21,24	910:19,21,24
550:21 551:1	677:1,5 681:5	809:4,6,11,12	854:7 855:3	912:10,19
551:2,2	681:17,21	809:14,14,16	855:11 856:7	915:23
553:10,14	682:10 684:9	810:18,22	856:12,21,25	917:18
555:8,9,17	686:2 688:7,8	811:9,12,15	857:1,3 860:7	ratemaking
556:10 559:6	688:10 693:2	811:18,18,24	861:11,14,18	553:8 571:21
562:16,17,17	693:9,25	812:20	862:8 863:16	573:18
562:19,24	695:20	813:13,21	864:1,21,25	582:18
566:16	716:20,21,25	814:10,17	865:3,6 866:4	590:15,17,22
573:17,19	717:6,7,12,16	815:6 816:17	866:9,19,22	591:1,2
577:20	717:18,20,21	816:19,20,21	866:24 867:1	606:22 612:4
578:16 579:6	717:22,24	816:25	867:3,7,16	683:17
579:7 583:10	724:11 741:5	817:11,23	868:6,23	753:16,21
583:10,20	743:11	818:6 819:6,7	869:3,14	768:25 786:1
584:3,25	744:13,16,18	819:7 820:5	870:16,17,21	796:10 802:6
585:25	751:24 755:2	820:20 821:4	871:10,16,22	810:1 865:24
588:11 590:4	755:8,14,15	821:10,15	872:2 876:5	878:11
591:9,17	757:5 758:12	822:11,25	876:21,21	ratepayer
592:5,10	758:13	823:7,19	877:4,6,9	756:15
593:5,16	763:20,22	824:10,11	878:8,22	829:21 849:7
594:13	764:5,12,16	825:18,21,24	879:3,14,18	849:7
597:16 598:3	764:20	826:4,10,12	879:22 880:3	ratepayers
603:4 604:1	765:16	827:4 828:16	880:3,9,9,17	560:10,13,15

578:17	658:6 668:14	636:15	643:9 646:14	750:23
585:12	669:23,24	rationale	646:14	754:11
600:22	679:17,19	784:19	649:22	799:24 801:7
711:14	682:25 684:4	raw 643:5	652:25	801:8 805:9
740:19	684:24 687:2	reach 630:12	653:18	809:12
757:12 763:9	687:18,21	630:15	673:13 678:5	822:25
785:10	689:4 710:2	reaches 552:4	678:8 681:1	834:10 848:6
786:10 805:3	710:16	755:15	681:10 684:2	854:13
812:9,9 818:6	724:11,11,16	reacted 686:21	689:21	864:23
827:6 829:13	724:20,25	reaction 550:15	692:11,18	866:19
829:14 830:4	725:17	read 566:21	696:7 697:8	reasonable
830:17,22	730:14 754:6	572:13	698:24	551:5 609:7
831:8,13,16	755:9 756:20	574:21	699:21	614:14 622:6
832:7,11,23	758:6 763:16	680:14	700:16	700:14
832:24 833:3	766:13 767:8	858:22	709:22	755:25
833:6 834:5	768:18	884:18,19	714:13,17	810:13
834:12	769:23	898:8,10	728:25	811:13
835:17,20	778:25	reading 701:4	731:24	817:13,20,21
837:2,4,8	781:13	reads 897:10	740:21	821:12 837:3
846:12,18	784:14,23	ready 689:10	743:13	852:3 853:2
847:15 848:9	786:11	708:1 719:3	765:20	878:12,13,23
877:8	795:13	806:20	779:25	879:13
rates 549:5,8	801:12 802:5	887:17	792:17	884:23 896:3
549:22 553:9	802:8,12	real 658:3	793:21 795:1	896:16 900:7
555:5 558:1,3	810:8,13,14	705:8 808:21	795:11 802:3	900:17,22
562:13 565:9	810:19	845:19	802:4 803:11	901:5 903:5
566:14	820:17	910:18	818:21 825:3	906:4,4
573:24 574:2	821:19,20	realistic 555:16	839:14,23,24	reasonableness
574:11 581:2	827:9 828:1,4	560:22	842:22 852:3	822:4,25
581:3 584:7	832:13	561:20	889:19	883:19,25
584:13,23	833:15	realistically	realm 606:24	884:25
585:2,5	834:14 837:4	862:20	683:20	900:25
586:12	837:8,10	reality 619:7	reason 554:25	901:11
588:19 589:5	852:5,22	realize 845:2	559:8 561:13	907:19
590:24 591:1	853:3,22	893:7	561:13	reasonably
592:4,10	854:16,21	realized 593:15	562:11	879:15
593:2,16	855:8 857:22	782:19 907:3	564:21 598:9	reasoning
595:20,22	859:7 860:8	realizing	610:12,19	590:18,21,21
596:2,4 601:9	862:17 863:1	700:15	613:13,16	reasons 572:3
605:22 607:6	863:24 865:1	really 549:20	620:25	573:2 574:23
612:23	865:10	553:14 558:2	630:14	623:3 642:24
613:10	866:14	561:1,13	680:25	710:18 722:3
617:24,25	878:12,17	566:13 567:8	691:14,22	742:2 791:6
619:21 648:6	911:2,6	592:19	692:8 711:21	800:25
648:14	rate's 689:8	615:18	713:24	822:13,13
651:15	821:18	624:21	721:17 725:6	845:22
653:18,23,25	rating 626:2	625:12 639:7	742:2 750:18	rebuttal 576:2

577:9 584:19	772:12	reconcile	794:15	774:7 789:13
586:17 590:1	788:16,17	677:12	801:13	798:3 806:17
590:11 591:4	875:17,18	715:19	811:13	870:5 872:19
605:14,17	887:2 889:8	reconciled	817:13	912:1
736:20 771:5	889:15,25	644:4	835:17	Recross-Exa...
771:8 772:2	892:7 894:2	reconciles	863:16,25	654:23
787:18,21,22	895:5,22	707:6,7	864:24 869:1	656:10
850:19	896:23	record 564:2	881:10	674:17
858:19 917:3	897:11	575:17 577:3	883:15	712:12
917:6,24	899:11,12,19	601:17,18	recoverable	715:12
918:9	904:17,18	746:20	634:11	720:25 761:9
recalculations	917:2	747:16	recovered	762:11
763:11	receives 573:10	762:24	548:5 549:1,9	765:13
recall 570:17	621:6 784:17	770:22 776:8	596:1 606:7	798:10
590:15,16	receiving	787:11 835:2	606:17 612:8	914:10,11,12
597:14,18	584:17	837:16	621:23	914:14,15,15
634:6 638:17	recess 806:23	844:22	647:15 684:5	915:5,6,6,21
641:18	recognition	846:14	684:6 811:16	recurring
657:24	802:15,16	851:20 892:2	863:15	796:24
658:18 665:7	recognize	recorded 627:2	864:20,22	red 548:19
682:14 687:8	568:11	673:12 693:3	865:16 866:4	549:7 550:13
688:5 712:22	834:19	716:24	recovering	550:22
738:21	859:20	904:23 907:9	549:10	602:20,25
763:16	898:23	recording	606:12 608:8	603:2,5 624:3
769:13	recognized	716:24	636:4 802:25	727:15,18
798:16 799:1	779:18	recover 547:23	865:25	758:18
803:22 851:5	834:22 907:5	549:2,16,18	recovers	794:12 801:8
851:16	recognizing	554:9,13	549:13	801:10 803:2
870:17	876:20	555:16 568:4	recovery 550:3	redefining
884:10	recollection	584:7 586:6	555:23 556:2	804:17
recalling	824:19	595:9 596:4	556:16 568:3	redirect 675:7
750:14	recommend	607:18	584:8 589:22	675:11 690:9
receipt 577:6	854:11 881:9	608:17 609:3	606:1,20	690:9 725:21
602:11	recommenda...	612:2 614:2,4	611:22 618:2	725:22
737:22 772:7	609:1 686:3	614:5 619:22	619:19,20	768:10,12
788:13	811:8 881:16	621:7,22	626:1 691:17	774:14,15
875:14 899:8	881:20 882:2	624:1 635:24	691:20	789:13
903:11,13	882:9 889:12	636:2,10	744:13	803:17,19
904:15	890:11,14,15	637:12,13	756:16	806:17
receive 687:16	896:6 903:4	638:8,9	808:13	870:11,13
862:4,23	909:22 910:6	646:23,24	819:13	872:23 912:2
received 580:5	910:20	647:20,22	870:17 878:8	912:5 914:12
580:7 603:17	912:24	670:15 681:4	878:12	914:16 915:7
603:18	recommenda...	681:6,7,25	907:23	915:11,21
677:20 734:3	880:15	682:2 683:11	recross 654:17	916:5,10
734:9 737:25	recommends	683:14 743:9	654:21 690:9	reduce 553:1
738:2 772:10	572:25	744:20	712:10 761:6	553:20

561:15,17	709:21 768:1	refueling	899:17	591:8,14,16
569:18	800:4,4	751:14,15,17	908:23	594:2 604:17
573:22	referring	761:14	regardless	609:2 611:18
604:23	577:12 597:8	refund 638:17	839:4 851:19	614:6,25
608:12	670:17	670:21,22,23	889:22	615:11,12
635:16,17,17	refers 610:11	670:24 671:1	907:18	616:9,12
717:9 782:23	628:17	671:4 673:5	regime 683:11	624:22 626:3
791:12	632:25	676:15 678:4	regional 808:2	626:12
reduced 604:22	reflect 561:15	678:5,11,12	regular 665:1	630:19
608:22,24,24	561:17 564:2	678:13,14	747:13,19	634:11
612:15 614:9	595:16	690:20	792:9	636:19
614:10 636:5	608:24	691:11	regulate 562:10	644:20
636:7 647:10	625:17	692:14	563:5	645:10,21
651:8 757:11	626:18 677:9	693:14,25	regulated	647:14 648:5
757:17	693:25 696:1	695:12,18	811:14	650:9,12
reduces 626:8	703:11 704:1	703:13 714:7	878:10	651:14,19
635:23	717:17	729:9 732:2	regulation	652:5,7,13
677:10	723:17,24	732:10,12,17	551:10 560:4	658:9 681:13
reducing	749:14	751:2 754:16	560:5,6,8	682:3 683:11
626:16	751:23 773:2	760:7,16	563:8 564:21	684:17,18,22
791:18 827:1	773:10	913:9	564:23 565:4	685:5 686:7
reduction	781:13 835:3	refunded	565:13,23	686:10 694:9
561:16,17	867:1	588:19,20	583:11	696:25
562:4 569:8	reflected	589:3 592:25	587:12 589:1	697:17,22
569:15 589:4	584:22 585:2	621:19	597:13 606:8	698:7,12,20
716:25 742:4	593:1 595:9	refunding	617:10 832:9	699:6,11
742:5,6,13	595:20,22	687:19	regulations	711:23 736:2
757:9,14	634:5 692:14	refunds 565:9	832:14	740:14
758:1 799:20	692:16 693:4	588:24	regulator 794:5	741:17
redundant	695:1,2 703:7	638:15	regulators	752:20
625:15	710:24 750:4	refused 807:21	652:2 793:24	753:17 756:7
Reed 811:1	750:24 752:2	903:23	regulatory	765:1,2,3,8
886:18	752:11	regard 554:25	543:17	765:24,25
917:13	763:16 803:1	680:8 712:6	547:12	793:23 794:1
Reed's 557:10	reflecting	785:9 848:18	549:10 550:4	795:22
reevaluate	633:2 677:20	871:9 890:7	560:12	802:17 803:3
562:11	692:7 802:13	902:22	562:12 565:4	808:22 809:6
refer 583:8	reflection	904:23	567:7,11,18	812:7,7 816:6
590:1 628:16	762:18	905:12 907:7	568:11	820:15 832:1
695:6 748:13	reflective	908:2,3 909:5	569:12 572:2	832:8 834:19
reference 590:8	694:11	910:24	572:8 573:1	849:6 852:1
591:5,6 667:7	695:19	regarding	573:19 574:4	861:17 865:2
referenced	697:17	572:6 627:4	574:5,8 581:7	878:18 880:1
718:7	reflects 547:21	748:19	583:8,9 585:1	880:7
referred 566:3	548:2 602:25	823:19	586:4,5,10	rejected 555:13
571:23 582:9	691:4 724:25	824:10,11	588:16	780:23 786:3
682:16	730:15 820:5	848:5 882:19	589:20 591:5	808:9

rejection 572:25	remaining 808:13 811:9	739:10	reported 543:23	695:8 748:4
related 548:14	913:8	743:21	655:19 722:7	748:10 769:6
592:21,22	remedy 794:25	797:16	726:10,20	806:22
597:19	remember	replacements	727:2 753:10	807:14 819:8
623:24	569:19	739:7	756:22	868:6 887:8
624:13 711:6	579:10	replacing	837:10	890:25
720:9 724:6	665:16	681:19	reporter	900:16
749:10 782:1	680:16	738:19 796:3	575:11 602:2	902:18 910:2
782:25 892:8	683:19,21	797:2	735:24	requested
relates 776:15	768:1 798:14	report 629:5,14	874:18 919:6	616:15 712:6
relating 583:24	846:19 881:5	634:12,15,16	REPORTER'S	917:11
710:11	884:20	634:23,23	660:11	requesting
relation 870:16	remove 552:25	644:15	reporting	621:21
relationship	555:14	650:16	666:1 697:25	656:22
592:20	749:11	665:20 673:9	721:12,15	752:11 807:8
779:10	removed 751:4	676:5,11,16	722:7 723:2	811:15
relative 794:7	751:10,20,21	677:1,7,17	reports 628:22	requests 573:4
908:11	759:10,15	679:4,11	629:1 634:4	897:11
relatively	830:21	680:3 692:21	649:21 705:9	require 569:12
792:15 793:6	removes 593:2	693:6,7,20	706:12,14,17	627:1 683:11
793:18	rendering	695:1,3,14	721:19,22,25	756:5 766:2
794:24 800:1	878:14	696:19 697:9	722:5	804:21
803:7 804:18	Renew 545:25	697:13,14,24	repository	required
811:19	renewable	704:2,7,8	824:5	568:10,10,11
833:23	653:11	705:2,5,6	represent	569:15 578:8
relevance	913:10	706:1 721:16	571:18	589:22,23
581:12 748:3	repairs 785:18	722:10,16	758:18	611:24
877:2,3	804:5,13,23	723:4,7	837:25 838:1	678:14
895:15	repeat 880:5	726:11	843:7 845:16	697:24
relevant 553:11	883:22	730:25 731:2	846:12	752:14
580:22	901:24	736:10,13	909:25	756:22
755:17	rephrase 767:4	737:13	representation	811:12 862:7
818:17	791:17	747:22 748:8	731:21	880:2,8
851:21 907:1	replace 552:3	748:9 750:25	810:18	897:15,21
911:10	561:7 567:16	752:2,7,12,18	888:23 891:3	899:23
reliability	615:1 700:2,5	753:15,20	representatio...	requirement
585:15,22	743:17	765:17,22	573:7 731:22	612:24
600:3 701:1	replaced	766:14	representative	645:16
872:12,15	573:25	824:15,21,24	890:12	667:22
reliable 700:3	614:24	828:17,19,24	represented	668:13,17,18
relied 903:3	645:19	845:24	548:19 810:2	669:21
relief 573:4	650:22	855:24	representing	674:22
rely 578:19	685:14	874:22	888:25	697:25
579:4 725:15	804:20	881:20	represents	736:10
908:20	replacement	890:13 897:1	770:2 805:7	737:13
remain 747:1	648:7 700:6	897:10	request 624:13	782:23 784:5
		899:18		784:7,13,16

791:12,18	837:15 841:2	733:3 739:5	744:11	724:2 726:9
796:21 797:9	851:9 855:11	796:12	802:20	726:18 727:2
800:10	876:12	restating	retires 777:24	728:4 729:1
801:24	respectively	608:14	retiring 801:20	732:4,6,7
802:19 805:4	736:11	restoration	return 547:23	740:7,8,22,23
825:17,20	respond 795:14	718:19	547:24	741:10,14
863:1,14	830:6	719:14	549:25 550:5	744:10 755:2
864:9 871:7	responded	restore 682:7	550:8 551:6	755:11,18
874:22	826:15	699:19	552:25 556:6	756:12 757:3
requirements	responding	result 560:18	556:6,7,9,14	759:16 763:4
653:8 706:16	590:12,13	586:6 588:19	559:19	764:12
870:25 871:3	891:12	591:22	560:10	765:16
requires	response 563:9	593:14 612:9	561:15,17	766:15,16
566:12	578:5,21	620:21	564:19	768:1,5,16
589:17,18	627:20	678:13	569:15 572:4	781:11
597:13	656:25	687:19	572:16,20,23	786:10 791:2
753:20	657:21 658:2	720:19	573:15	793:25 794:4
requisite	687:4 689:17	780:11	574:18	794:12,18
569:13	695:7 718:1,6	785:17,20	583:10 585:1	795:18,23
Research	737:23 746:2	resulted 560:14	585:7,19,21	797:4 798:25
698:20	765:14 772:8	589:4 674:7	587:15 590:7	799:3,7,12,13
reserve 556:20	788:14	716:23	601:11 606:1	799:22 801:9
707:25 888:1	799:23	882:15	606:12	801:15,24
reserved 888:2	800:24	resulting 684:8	608:13,23	802:1,20
918:12	875:15	739:7	609:3,4,6	804:22
reset 592:11	888:17,21	results 729:7	612:2 613:8	830:15
resolution	895:18	741:19	614:11,14	834:13,18
847:19	897:11,20	785:13 801:3	615:24	872:6,10
resolutions	898:4,9,17,24	868:9 894:2	621:18	907:22
847:18	899:16,17,19	resume 913:6	625:18	returned
resolved	responses	RESUMED	626:24,25	592:25
758:13	886:21 887:1	603:22 896:1	627:1 628:16	647:15
resource 845:9	responsibilities	retailer 710:25	630:20,24	returns 560:23
845:10	862:3	retain 791:10	631:11	561:20
resources	responsibility	791:25 910:1	632:11	569:13
544:19	599:24	retained 778:5	635:19,21	572:16 573:5
545:23 650:9	838:13	779:17	637:17,18	586:21
836:2 858:24	845:25	780:18 792:5	641:22	588:11
896:20	848:19,23	retains 554:17	644:23 645:1	673:17
respect 577:9	856:20,22	retire 689:2	648:3 656:13	677:23
601:6 670:17	861:18	retired 739:11	675:22 676:2	725:10 726:7
682:22	responsible	retirees 621:3	677:6,6,10,11	726:19
693:10	808:19,21	retirement	679:14 680:4	804:11
718:17	responsive	791:9 796:4	682:1 684:8	revealed 834:4
723:10	887:8	797:16	686:2,2	revealing
774:17	rest 556:20	retirements	694:16,17,18	904:10
802:10	649:19 652:4	669:10	715:4 721:8	revenue 571:23

HEARING 10/1/2012

572:21,24	846:24	645:5 646:5	815:14 816:5	742:5,13
595:8 596:5	897:24 900:1	647:11 649:6	818:24	756:10,14
612:24	900:17	649:7,16,25	821:16	757:11,12,17
614:18,19,21	reviewed 629:4	650:14 653:7	823:22,23	758:2 773:3
615:2 638:16	632:12	653:18,20	824:1,2,6,7	773:10 839:6
655:12,17,25	665:17 739:2	655:9,20	824:16,17	839:9
667:21	897:4,20	656:1 657:18	826:11	risks 799:21
668:13,16,18	900:15	681:22 682:8	838:20 841:1	risky 684:18
669:20 673:4	901:20 902:1	682:9 685:12	847:1,10	698:14
673:7 674:22	903:3	685:17	850:8 853:11	Rivers 545:21
714:8 736:10	revised 701:15	688:14	858:24	rmitten@bry...
737:13	revolves 748:1	690:17,20	859:18	544:13
743:20 763:2	ridiculous	691:7 692:19	862:14	ROBERT
763:2,3	780:9	692:20	863:10,13	543:20
782:23 784:5	ridiculously	694:17	864:5 865:13	Robertson
784:7,13,15	821:18	695:23 696:2	868:8,19	545:20
791:12,18	right 547:8	697:5 699:2	870:4 873:18	770:14,15,20
793:14	554:17	701:6 703:17	874:11 878:1	770:24 771:4
796:20 797:8	555:25	703:19 704:9	878:8,9	773:17 775:5
800:9 801:24	556:17 558:2	704:11,14	880:13 881:1	809:1 811:5
802:19 805:3	558:4,6 560:5	706:19	882:13	815:16 836:1
825:17,19	561:5 563:4	707:14,19,23	883:12	842:15 874:7
863:1,14	564:14 567:9	708:21	884:16,17,20	874:9 913:7
864:9 874:22	567:12	711:15,17	885:5 886:12	915:9 918:8,9
revenues	570:13	712:10	887:5,12	918:11
543:13	571:10	713:13,19	888:6 895:2	Robertson's
549:14	580:11 598:6	717:7 724:21	895:20 896:5	771:25 811:8
583:19,25	598:12,14,21	727:20 728:4	896:18	836:6
584:2 588:8	601:9,14	731:15,17	905:17 906:1	ROE 562:4
595:10,16,18	603:5,13,16	732:21	906:12	569:8 589:2
606:14 639:5	604:16	733:18 735:2	909:20	613:14,20
639:10	608:18	735:15	910:18	619:5 625:16
696:25	614:16,20	737:15,20	rights 821:8	625:20
796:17 797:8	615:5 616:25	747:8,21	827:14	626:10,10,18
803:10	618:10,12	748:14,20	rise 648:14	627:2,5,7,11
revenue-pro...	619:2 622:14	750:24	804:15,24	630:12,16
583:19	625:2 626:9	752:20	risk 561:16,17	631:23 633:5
review 554:17	627:16	754:22 755:2	569:18	635:22
599:11,14,20	628:12,13	757:12,19	594:12	638:21 640:3
600:6 628:21	629:22 630:8	758:25 759:1	608:12,22,24	641:10,16
629:1,10,11	631:14	759:21 761:4	614:9,10,10	642:15,18
629:16,17	633:16 639:6	775:4,19	625:19,22	643:13 644:6
632:17	639:11,13,15	789:12 791:1	626:8,12,17	644:24
634:18	639:18 640:7	795:9 798:2	626:19	645:20
665:18 666:1	640:20 641:6	799:16	635:16,23,23	646:25 647:2
756:8 825:21	642:9,12,25	806:13 813:2	636:4,7	647:8,13,20
831:19	643:20 644:2	814:11,12	740:18 742:4	648:21 649:2

650:3,4,10	762:15	545:12	717:11 721:3	816:6
654:9 655:19	882:25	SARAH 546:7	731:21 747:1	science 710:4
656:1 672:17	rounds 856:10	satisfy 550:20	759:19 767:5	scope 666:25
679:9,11	routine 796:24	Sauk 597:17	780:6 791:16	765:5
684:12 686:6	RPR 543:24	637:12	814:9 816:3	screen 551:22
686:9 690:19	919:17	676:17,17,25	819:22	600:14
691:11,12	rubric 869:2	677:17 678:3	830:21	scrubber
692:2,4,7	rule 578:20	692:18	838:19	794:22 800:8
694:25 695:2	746:22	693:10	842:15	803:7
695:4,7,10,13	895:19	695:12,12,21	844:15	scrubbers
695:14,19,25	rulemaking	701:16,21	845:13	552:15 554:4
696:1,3 697:3	838:17	702:14,16,18	873:19 874:3	566:24
697:17,19	rules 722:6,10	703:9,10	898:8 902:6	739:15,15,19
708:18	723:4 747:5,6	705:4,9,12,14	says 592:8	scrupulously
710:24 711:3	756:21	705:14	603:6 643:15	722:9
711:4 713:22	823:18	708:13	644:7 647:23	scrutiny 553:6
713:25	878:21	713:13	651:10,11	se 893:2
714:18,24	ruling 580:4	714:14,23,25	668:20	seal 851:7
723:13 742:4	run 553:4	715:2,7	698:18	season 711:8
742:6 748:3,7	565:18 566:1	716:19,20	720:14	SEC 634:23
748:19	running 857:13	717:18,20,23	729:23	635:5 716:23
749:24 752:1	858:2	722:25 723:1	796:10 887:6	second 550:21
752:3,19	RUSSELL	723:11	890:15	562:7 617:21
753:2,9,14,23	544:10	728:13,18,21	895:12	691:16
754:19,21	Ryan 815:16	729:19 731:2	scale 602:20	725:12 726:8
757:9,15		731:12	scaled 650:18	726:9 727:10
762:3 767:15	S	749:10,11,15	686:18	727:21,22
773:2,10,13	S 543:20 547:1	749:20	scenario 587:9	734:13
774:22	safe 550:20	750:25 759:3	588:4 621:19	746:17
784:25	561:8 600:2	759:7,9,17,24	650:17	776:17
793:10,12	620:5 657:15	760:3 762:19	797:16	780:24
794:15	657:19 700:3	763:9,10	883:13	782:11,24
839:19	700:12,24	768:6	scenes 710:23	784:2 822:1
ROEs 649:12	831:10	savings 738:18	schedule	888:21
role 837:23	salaries 777:2	738:23 739:6	665:10	889:16
887:21	777:22	796:6 797:15	675:17,19,21	secret 826:25
rolling 630:22	778:20 780:8	saw 800:1	727:11	section 601:6
640:10 647:1	780:10,16	907:5	737:18	782:8
647:22	784:11	saying 597:5	800:13	Securities
room 735:3	salary 834:15	632:9 641:3	scheduled	721:20
742:25 745:6	sales 710:3,11	644:4 648:17	742:10 873:6	see 562:13
782:9 795:2	710:14,15,18	651:23	schedules	564:21
816:25 835:5	711:1 712:20	658:12	677:11 697:7	586:21 591:6
842:10,16,19	724:6,8	669:11	726:21 736:5	595:25
844:4 876:1	743:20,23	673:15 690:1	736:18	613:25 614:8
root 803:11	796:17	696:6 702:19	917:23	615:8,20
roughly 583:11	Sandberg	705:25	scheme 812:7	621:9 628:8

HEARING 10/1/2012

636:18	segments	service 543:2	635:15 636:8	799:15,19,25
642:14,14,23	602:19,20	543:13 546:8	636:11	800:24
643:3 644:3	segregating	546:12 547:5	640:25	801:10 802:4
644:14 655:4	570:4	547:8,11,16	644:20	810:12 811:3
666:5 687:19	seize 779:24	548:13,19	645:13	817:16,20,22
702:19	sell 609:13,19	549:4,8 550:2	651:24	818:13,16
707:16,21	743:19	550:21 552:8	657:16,19	829:13,20
708:14 720:4	selling 609:12	552:10,23	658:4,18,22	832:14,16,19
733:10	609:15	553:8,12,25	659:6 666:11	833:13
749:18 803:8	686:13	554:7,19,22	666:14	834:16,17,18
821:17	sells 609:21	555:3,12,13	668:23	849:22 852:5
855:24 860:9	sending 591:20	555:22 556:1	669:14 670:7	852:12,13,16
860:23 861:2	senior 546:6,7	556:10,18,25	680:11 681:8	857:15 858:5
884:20	860:14	557:5,7,12	681:17,24	858:14 864:2
886:22	sense 569:4,25	558:24 559:2	682:13	864:23 865:3
888:14 889:6	595:23	561:9,12	683:17 684:4	865:5,10
896:16 900:9	632:19 681:3	562:2 564:1,4	684:16 685:2	866:1,2,17
901:3,4	681:12 682:3	566:22 568:2	685:13 686:1	874:22
903:15 904:8	691:19	571:22	688:2 698:25	877:22
906:3,15	781:22	573:13,16	699:6 700:3	878:14
912:16,16	795:11 852:8	577:21	700:12,24	881:20
914:11	853:12	580:18	718:24 736:3	885:11
seeing 551:2	910:24	581:22 582:3	736:10	890:13 897:1
579:11	sent 859:24	582:6,13,24	737:13	897:10
614:23	860:1,3	583:14	738:17 740:3	899:17 914:2
650:11 655:5	sentence	584:10,12,22	740:9,12,15	services 543:24
656:20	577:10,24	585:2,8,10,11	740:22,23,25	827:21 919:7
seek 869:1	579:21	589:15,21	741:6 742:3	serving 552:4
seeking 547:13	586:18 887:7	590:14,19	743:2 748:5	session 660:12
572:22	separate 570:6	591:11,13,18	751:11	665:2 747:13
657:23 810:4	592:19	591:21	754:23 755:5	747:19
seeks 572:15	809:21 820:2	592:19 593:4	755:13,19,22	914:11,17
seen 550:6	820:3 835:5	593:11,13,15	756:14,19	set 627:5
582:17,25	separately	594:25 600:3	758:5,15	679:17,19
588:3 628:20	855:13	600:25	763:19,21	710:2 711:3,3
628:22	869:13	601:13 606:7	764:5,11,16	725:17
642:15	separating	606:21	764:19	730:14,14
659:19,22	568:2	607:17 608:3	768:16,25	755:9 756:20
680:15 688:2	September	612:1,6,17,20	770:5 772:24	795:13
698:19 794:3	642:8	613:5,6	772:25	840:15
859:21,22	series 912:6	614:12	774:22 775:6	852:22 853:3
885:13	serious 836:7	615:10 619:1	776:3 793:3	854:20
887:20 891:9	seriously	619:8,14	794:23 795:8	865:10
892:19	845:20	620:16	795:13,16	866:14
896:18	serve 552:2	621:11,14	796:1,11	878:17
segment 583:24	559:3 831:9	622:5 623:16	797:6,11,13	893:18 894:1
602:20 782:9	857:16	630:14	798:25	919:9

sets 724:11	879:19	659:24	816:17	739:15
885:7 893:21	shares 609:19	672:16	829:23	794:22 800:8
setting 754:6	778:3 782:17	675:22 680:3	significantly	803:7
764:8 784:23	791:3 792:12	680:7 715:1	550:5 551:6	sir 561:25
786:11	sharing 694:22	715:15 727:2	803:25 808:3	563:19
settled 758:5	832:6 840:15	730:2,10	sill 700:3	725:21
783:14	840:23	753:8,15	similar 557:7	766:13
858:18	846:17	859:17	557:14 569:6	792:22 829:6
settlement	847:14	showed 578:15	611:6 616:22	829:11 832:4
758:7	sheet 620:1	643:12 673:7	619:15,16,17	833:19
seven 627:25	637:4 701:5	729:8 766:14	619:21	sit 775:2
641:20	718:7,10	800:1	622:23	870:20
865:19	855:17 919:9	showing 676:1	625:19,22	sitting 718:25
share 751:12	sheets 836:13	676:5 723:12	636:17 780:5	774:3 835:6
817:14 833:8	shelters 777:22	800:13 801:4	812:6 853:2	835:18
833:8 837:9	shift 740:18	898:16	904:22	842:10,16,18
848:8	758:19	shown 672:3	similarities	situation
shared 578:16	842:20 844:6	674:4 675:16	743:2,4	550:24 551:4
782:20	shifted 757:11	679:7,11	similarly	566:3 608:5
831:14	840:18	726:7,21	686:21	630:11 631:9
879:18	shifting 827:17	836:1,13	778:21	631:10,19,21
shareholder	shifts 836:7	860:8	780:14	632:21
561:16 785:1	843:20	shows 650:16	simplify 711:17	641:21
829:23 833:9	shipping 879:5	673:22	simplistic	656:12,20
849:8,9	shock 654:4	675:15 676:6	786:2	687:11
shareholders	shoehorn 567:5	676:11,12	simply 554:9	714:10
578:17	570:18	692:2 703:10	555:5 559:1	816:20
757:12	short 552:5	706:11	564:25 565:2	832:17
777:14 785:4	588:2 810:21	715:17 728:3	574:10	843:23 855:3
792:6 811:10	838:18 871:4	730:4,8,12	611:13 666:8	situations
811:24	910:5	804:8 905:20	705:21 707:4	558:13
812:10,10,14	shorten 566:15	905:21,23	722:16 780:1	598:23
812:15,16,18	shortened	Sibley 596:9	837:9 841:24	615:16
812:21,22	719:3	side 547:21	853:7 887:23	six 587:2
817:6,10,15	shorter 604:15	594:16 689:3	906:15	641:20
818:6 820:14	647:18	sides 830:25,25	single 592:10	712:21
827:6 829:15	shortfall 550:7	Sierra 545:24	643:13	809:23
830:3,8,23,25	588:5 606:15	signals 598:1	651:12 670:7	size 607:7
831:6,15	Shorthand	significant	820:25	908:11
832:7,22,22	919:6	547:11 550:6	844:25	skewed 598:12
836:25 837:1	Shortly 589:7	571:23	single-issue	skewing 907:15
846:18	short-term	658:25 659:8	553:8 573:18	skilled 831:11
847:15	687:1	744:21	590:15,17,22	Skip 696:16
867:18	shot 569:14	781:12	590:25 591:2	slice 561:3
871:23 872:4	show 572:12	785:21 792:9	Sioux 552:15	570:8,10
872:7,9,13,14	613:2 634:22	794:1,17	554:3 566:24	slices 570:6,7
877:7,21	642:16	800:7 805:1,7	567:14	slide 579:2

slightly 556:14 812:6	763:21 864:12	special 647:14 830:11	856:12 897:3 897:18	627:19 654:25 655:8
slippery 678:9	871:18	specific 557:14	899:25	665:11,15,21
slope 678:9	873:15 874:1	558:17,18	900:10	665:25 666:2
small 552:18	880:5,6 881:6	573:20 583:1	908:10	674:15
654:1 687:15	881:7 883:22	616:24 617:7	spirit 784:14	675:16 676:6
804:1,18,18	883:23 884:9	618:4 629:5	split 811:9	679:4 695:9
827:11	884:21	699:9 758:19	812:19,20	713:4 720:23
828:19	886:23	801:22	840:16	734:20
smaller 641:14	901:24 903:9	840:25 841:1	splitting	735:15
808:4	909:9 911:25	841:2 849:14	811:12,20	736:10,17
smarter 563:14	sort 564:17,22	865:25	sponsor 716:15	738:1 742:2,6
Smith 544:6	568:13	909:23	sponsoring	742:6,10
sole 785:1	570:15	specifically	681:1	744:22 745:6
792:6 834:13	579:19	582:19	spot 622:13	745:19 749:3
solely 573:20	592:17	583:25 584:4	625:3	755:23 766:4
786:1	602:20	597:18 606:9	spreadsheet	766:7 772:14
solicit 859:19	618:24	606:18 610:8	901:19,25	774:1,8 782:5
solution 552:9	744:22	611:14	904:22 905:2	782:19 783:6
733:9 803:14	766:13	616:14 617:7	906:14	787:2 788:24
solve 547:17	767:16 841:9	618:8,10	square 630:10	790:12 798:6
557:20,21	842:12	686:4 688:6	630:17	807:17,21
581:1 608:16	843:19,19	702:8 715:1	ss 919:3	808:8 809:23
611:15	846:21	718:22	St 544:4 545:2	809:24
652:23	852:19 901:2	720:12 739:1	545:13,17,22	815:19 820:9
solved 648:23	sorted 744:16	777:18	700:9 719:1	824:4,9,15,19
someplace	744:18	specificity	810:7 828:3,3	824:24 825:8
717:9,10	sound 708:8,9	720:8	stabilization	825:11,16
832:16	823:22,23	speculative	839:16	826:3 828:17
somewhat	824:1,5,16,17	553:22	stable 792:15	837:21,22,23
566:5 722:17	sounds 824:2,7	speed 846:3	803:7	837:23,24,25
776:20	840:14	spell 735:23	stack 886:16	838:3 845:5
876:13	source 614:21	874:17	stacked 901:22	859:12
soon 601:8	805:7	spend 639:4	902:3	864:12 870:9
669:13	sources 777:5	648:6 650:14	staff 546:6,11	873:2,12
824:20	sourcing	677:2 686:18	553:5,19	874:22
sorry 564:1	810:16	687:23 700:7	554:6,21	875:18 876:9
584:19	South 544:7	807:10 816:5	555:11	876:17
596:15	557:8,13	855:13,14	558:21	877:20
627:23 628:1	space 634:12	908:17	560:14	878:10,16,21
659:11 690:6	spawn 716:13	spending 765:9	561:12 562:1	879:3,12,25
690:12	speak 635:9	823:3 836:3	562:3,3	880:6 884:4
696:11,16	659:16	856:7 871:15	574:22 578:3	885:10,15,22
704:20	697:12	spent 599:16	579:7,8	888:23,23,24
722:23	speaking	670:16 673:6	600:12	888:25
726:24	625:17	807:12,13	604:20	889:12,17,18
728:20	740:10	855:19 856:8	605:16	890:12,18

891:1,2	893:18	897:23 898:7	status 824:15	stockholders
892:25 893:2	standing	900:8 901:1	statute 600:20	777:6
893:24	563:11	919:3,15	601:1 764:1,4	stocks 610:10
895:13 897:2	564:18 782:9	stated 574:23	818:19 871:1	Stoll 543:20
897:14,20	standpoint	596:21	904:9	636:24,25
898:16 899:6	619:18	750:13	statutes 558:9	709:14,15,16
899:22 903:7	645:22	769:15 882:4	600:23	712:8 757:21
904:3,5,9	652:22	897:1	688:10	757:22
912:2 917:17	844:10	statement	statutory 688:6	773:18,19
917:23	stands 892:3	563:1 586:22	stay 624:4	789:9,10
staffing 809:5	star 827:25	586:25 587:4	656:3 658:24	806:14,15
staff's 578:14	start 607:11,24	587:6 595:8	659:3 740:2	850:1,2 870:1
604:23	633:9 651:20	622:16,20	760:21	870:2 911:23
627:20 713:7	677:22	623:4 627:3	911:15	914:14
713:11 714:1	726:16,17,17	717:10 803:9	staying 659:5	stop 550:22,23
746:2 825:21	756:12 807:4	838:20	735:3	654:8 670:11
826:25 827:1	started 547:6	840:17 842:9	steady 551:16	670:14
829:24 833:5	589:7 597:23	844:13	stem 777:13	731:16 809:2
864:4 878:7	641:10	845:15 891:2	stemming	820:16
879:17,20,21	733:17	914:3,3,4,4	777:10	907:25 913:6
880:16	763:13 776:8	915:13,14,14	stems 778:15	stopped 741:1
883:18,24	807:3 874:6	915:24,25	792:12	stops 548:20
884:24	starting 590:12	917:9	Stenotype	556:1 755:5
890:11,15	726:5 730:20	statements	919:10,12	797:5
897:1,9	730:25	547:7 566:20	step 573:14	storm 619:10
899:17,18	806:23	569:19 587:9	595:12	623:16
903:23 915:1	starts 548:25	587:18	732:22 735:9	650:24 682:7
916:7 917:20	586:18	594:22 616:1	770:13 775:5	854:9
stage 564:22	state 543:1	618:20	789:13	storms 620:17
stand 558:15	553:3 558:15	721:10 742:1	794:22 800:7	straight 806:19
597:2 651:22	573:6 575:16	876:2	805:16	straighten
654:20	580:17 581:5	states 556:25	806:17	715:9
666:21	581:11,13,16	557:7,20,21	872:25 913:5	straightforw...
733:14,18	586:19,20	557:24	STEPHEN	793:18
741:7 775:8	593:21 594:3	558:11,18	543:20	strategic
775:17	617:2,22	581:3,14	steps 594:5	810:16
828:22	644:21,22	616:2 617:11	sternly 828:10	813:16,18
850:11	699:19	684:19	828:10	822:13
standard 600:3	735:21	795:21	Steve 917:13	strategy 822:11
618:24 622:4	770:22 780:5	818:10	stimulative	Street 544:7
622:6 653:12	780:7,10,12	824:10 885:6	804:2,2	545:5,21
816:10	787:10	885:12,24	stock 610:15	546:2,9
821:21 822:2	807:20,24	886:21 887:4	689:5,11,15	651:11
822:4,5,5,16	809:9 814:3	887:9 897:20	776:16,21	streets 700:16
822:19 823:2	824:11 839:2	898:4,11	778:4,5,17	strict 816:9
823:5,5,6	847:4 874:15	state's 557:9	784:12 791:4	strictly 818:2
835:23	891:10 897:6	617:9	792:3,7,9,10	868:22

strike 577:12 578:8,13	615:14 618:1 619:19,24	802:19 831:9	831:20	854:18
strong 550:25 551:1	632:2 648:18 649:4 668:25	suggest 549:11 599:3 631:12	supported 785:7 832:7	861:25 863:4 874:7 884:6
struck 579:21 714:13	674:2 694:14 743:10	658:3 712:3 766:17 767:1	supporting 552:20	902:5,9 903:13
structural 646:4,9,11,20	744:13 749:7	767:11,13,15 767:21,23	750:21 779:20	surgery 566:12
structure 640:18 648:5	subsequently 862:8	suggested 574:6 724:1	786:25 787:1 807:17	surprise 839:7
structures 562:12 563:6	subset 634:13	suggesting 609:5 652:16	supportive 626:6,17	surprised 632:20
648:22	subsidiaries 777:20 779:2	680:16 694:22 721:5	698:15	surrebuttal 576:3 605:14
698:21	779:3 808:19	767:17	supposed 598:9 625:17 733:7	605:17
758:19	subsidiary 779:4 782:14	suggests 599:14 631:10 632:6	845:4	607:10
struggle 793:24	substan 639:1	686:8 711:22 714:24	Supreme 544:16	612:20
struggling 649:11	substance 893:22	767:14 782:19 803:9	sure 593:23 594:4 600:2	627:21
studied 792:17	substantial 574:16	809:2	605:24	665:11 666:6
study 577:13 577:15	613:13 615:8 615:21	Suite 544:7,21 545:2,5,21	608:15 609:3 618:6 623:2	666:13
578:24 579:2	648:10 653:3 654:3 800:18	546:2	625:13 629:12,15,17	675:13,19
579:19 697:8	substantially 637:25 638:2	summarized 762:21,23	631:9,18 635:11 638:6	701:22 702:2
739:22	638:20,22 639:21,23	summarizing 721:15	640:1 643:23 674:10	702:7 705:8
794:19 834:1	673:2,22 674:3,8,11	summary 811:17 894:1	683:13 684:4 692:24 696:4	714:3 723:17
stuff 567:13 601:8 817:15	substations 550:12	summer 633:8 633:10 639:7	705:16 714:25	723:24
903:23	699:15,24 700:1 718:4	639:7 646:14 646:15,17,21	718:22 719:5 720:11	726:22
sub 719:2	718:18,20	710:9 712:19 762:7	738:24 745:12	736:23
subcommittee 579:3	substitute 558:3	Sunshine 887:8 890:25	747:11,12 748:17	737:17 745:8
subdivisions 559:11	subtraction 783:5	supervised 736:15	787:19 791:15	745:15
subject 580:4 830:10	suburbs 551:20	support 551:15 553:22	813:11,14 814:4,5	763:11 771:6
submit 708:1 827:22	success 827:17 828:7	562:23,24 750:22 777:7	815:13,25 817:17 825:4	772:2 850:20
submitted 665:15,21	successfully 711:11	778:11 786:23 808:8	827:18 848:17 853:9	874:23
666:2	sufficient 801:25	809:22 811:6	853:21 854:5	881:23 917:7
suboptimal 586:8				918:1,3,5,11
subsequent 593:17				surveillance 628:21 629:1
594:13 596:5				629:5 634:4
607:25				673:9 676:5
613:10				676:11,16
				677:1,6,17
				679:4,11
				680:3 692:20
				693:6,7,20
				695:1,3,13
				696:19 697:9
				697:13,14,24
				704:2,7,7
				705:2,5,6,9
				706:1,12,17
				726:10

730:25 731:2	842:3	584:6 592:11	708:13	892:24 909:3
747:22 748:8	symptom	594:5 603:12	713:16	talking 564:8
748:9 750:25	558:24	604:6,7 605:2	728:17	564:10 566:6
752:2,6,12,13	sync 689:6	615:15	733:15,17	568:14
762:22	synonym 847:8	629:14 632:1	763:10 776:6	570:22 578:2
765:17,21	synonymous	633:7 639:2	786:22 807:1	579:18
766:8,11,14	823:1	643:5 652:1	846:10	583:10
survey 578:3	Synonym's	654:15	847:13 891:4	588:24 597:4
578:14,15	847:10	675:16	takes 573:14	597:5 600:5,7
885:13	system 550:19	681:14	611:18	609:9 620:15
886:21 887:1	553:1,21,24	687:21 700:4	701:16,21	622:18
889:3 894:1	585:13,15,16	701:23	702:12,13	635:22
surveyed	585:20,22,25	709:21	729:19 764:9	640:13
885:11	586:11	710:13,22	804:11	647:11
surveying	587:14 588:6	728:25 732:4	835:21	656:25
885:23	591:16	733:13	843:13	686:24
surveys 886:21	593:19 599:4	738:18	856:20	693:17 702:9
887:9	600:1 606:13	752:24	talent 792:1	709:19
suspect 752:14	624:6 651:9	754:14,15,15	talk 560:11	716:19 741:8
814:21	657:13	759:6,13	562:20 566:8	758:2 767:25
848:24	682:14	763:3 776:4	620:16	768:2 790:23
862:10	844:14 880:1	778:11	654:10	837:13
suspicion	880:7	806:24	659:20 671:9	841:18
792:14	systematic	817:19	671:12	843:24
sustain 676:20	551:13,15	822:12 824:9	675:14	848:12
895:21	552:6	835:24 838:3	678:11	849:14 857:6
sustainable	systematically	838:13	684:21	883:6 902:7
559:21	554:13	839:24	776:21	904:7 909:16
560:23	systemic 645:7	841:16 845:1	820:16	talks 578:13
561:20	systemically	845:20,25	839:15	890:13
650:21	615:1 653:15	847:17	844:24 896:2	Tariffs 543:13
sustained	700:13	848:19,25	908:22	task 855:16
691:25	systems 551:1	851:22	talked 611:21	tasks 855:14
swear 734:13	system's	852:10 853:5	617:1 618:21	Tatro 544:2
789:17	588:22	863:22 866:8	619:14	809:13
Swearengen		866:25 867:8	622:24	Taum 597:17
544:10	T	872:7 873:16	642:13	637:12
sweetening	T 919:2,2	873:23	644:10 666:7	676:17,17,25
573:1	tab 905:2	877:19,19	667:20	677:17 678:3
switch 806:21	table 839:25	882:1,7,24	683:24 687:5	692:18
sworn 575:7	tabs 906:14	909:23	688:1,6,15,17	693:10
733:19	tabulate 666:4	taken 557:21	714:5 726:6	695:12,12,21
735:16	tact 835:24	569:14 616:2	728:7 729:5	701:16,21
770:18 787:4	tactical 822:13	626:1 637:8	730:1 733:11	702:14,16,18
867:15	take 547:6,13	639:16	758:17 801:7	703:8,10
874:12	553:14	654:18	814:10	705:4,9,12,14
sympathy	562:14 567:4	706:25 707:1	884:22	705:14

HEARING 10/1/2012

708:13	804:16,21,22	911:5	test 557:22,25	572:10,13,14
713:13	804:24 805:2	telling 695:3	558:5 573:16	573:9 574:22
714:14,23,25	806:18 813:9	882:2	574:9,12	575:25 576:2
715:2,7	813:9 835:4	tells 644:25	581:2 595:24	576:3,7,9,19
716:19,20	913:9 915:12	646:9 834:10	652:12 767:9	576:23
717:18,19,19	taxes 554:23	temperatures	801:18 869:6	577:10,13,17
717:23	574:15	710:10 711:5	869:7	577:19 578:8
722:25 723:1	780:25	template 611:5	tested 617:4	578:13
723:10	785:11	temporary	testified 552:7	581:21,25
728:13,18,21	800:19	699:17	553:24	586:9,18
729:18 731:2	803:25 805:1	ten 654:5	575:12 607:1	590:1,11,15
731:11	805:6,6,14	806:24	610:10,22	591:4 592:18
749:10,11,15	913:9	tend 854:10	620:3 659:6	604:14
749:20	taxpayer	tender 577:3	672:2 695:15	605:10,12
750:25 759:3	785:22	734:8,9 738:3	729:11	607:1 610:7
759:6,9,17,24	taxpayers	772:5 788:10	733:23 734:1	610:18,25
760:3 762:19	780:6,9,11	790:8 850:22	735:19	611:2,4
763:8,10	tbyrne@ame...	875:20	737:14	612:20 615:7
768:5	544:5	tenets 845:6	738:15 769:3	634:5 641:18
tax 555:2,7	tearing 700:16	tenure 588:2	770:6,20	654:10
574:16	technical	589:6 597:21	787:8 789:20	656:11,18
593:10 671:2	809:25	597:23	789:22,25	657:1 658:21
733:7 735:6	833:21	ten-minute	850:15	659:2 665:11
759:14	technology	776:4	874:13	666:6,9,16,22
762:18	796:7	ten-year 648:2	876:24	668:19 671:7
763:10	Ted 770:20,24	term 549:10	877:15	671:13,22
775:13 776:4	771:4 815:16	583:9 595:13	879:22,24	672:7,16
776:9,14,18	836:1,6 915:9	637:14 645:7	testify 585:23	675:13,20
776:24 777:9	918:8,9,11	645:12	629:8 668:5	680:9 681:1
777:10,12,15	tell 560:4	648:18	701:11	682:16 686:8
777:24 778:6	563:12,13	656:15,17	742:10	698:9 701:22
778:8,11	591:19	838:19	882:14	702:2 705:8
779:14,16,22	609:11	853:20	893:22 910:1	706:8,16
779:23,24	611:14	terms 598:16	testifying 619:9	708:18 714:4
780:1,15,24	612:16 622:1	670:19	667:17	714:21
780:24	622:12	683:24 685:4	718:14,16	715:20
781:19,24	623:21 651:4	754:3 759:3	719:17	719:13
782:8,18,20	652:21	763:2 816:4	775:13 795:3	723:17,24
782:25 783:4	678:12 720:8	870:15,15	815:17	726:22,25
783:13	731:24 743:3	876:15	895:16	729:18 731:1
784:20	796:18 797:8	904:22	testimonies	734:3 736:5,7
785:14,15,20	815:1 818:22	terrible 849:17	771:8,17	736:21,24
785:21 790:4	828:8 831:16	territory	testimony	737:8 739:1,3
790:22 791:2	844:9 855:23	685:13	551:12	745:9,16
791:7,18	856:5 859:24	718:25	553:23	746:10
793:3 798:12	901:20 902:2	857:16	557:10	747:25
804:4,6,10,11	905:15 911:1	TERRY 543:19	566:21 572:6	748:12,18

749:2 750:1	609:8 610:22	869:25	561:7 562:15	566:4,6
750:14 752:6	611:7 618:12	872:17,21,22	562:18	567:11,25
753:7 758:25	622:11 625:3	873:18	565:19	568:12,15
762:14 771:5	654:14 656:6	877:25	568:20 588:7	569:12 571:3
771:6,6,12,14	674:14,16	893:14	591:17	571:10
771:25 775:9	675:5 690:3	894:19 895:3	598:12,13	578:17,19
787:18,20,21	701:7 707:23	898:19 912:3	615:20	579:1,3,5
787:22,24	708:4 712:8	913:3	617:23	580:24
788:2,6	720:22,24	thankful	622:23,23	581:12 582:7
794:19 800:5	725:19,19,21	820:10	627:1 634:11	586:4,7 587:9
801:2 803:23	732:20,23	Thanks 558:19	637:8,10	587:24 588:3
818:2 826:18	733:20,22	563:18	644:5,22	590:4 592:3
831:3 835:25	734:12	571:14	656:3 658:1	592:22
836:6 840:5	735:10,17	611:11 625:9	671:5 684:1,3	594:12,15
840:18	738:3 741:21	636:21	688:23 700:8	595:5 599:4
842:14	742:17	654:12	704:4,14	602:22
850:17,20	744:25	708:23 745:5	706:25	606:25
851:9 856:8	747:21 761:4	757:20 774:5	710:17 712:1	615:15
856:10	762:9 765:10	823:15	715:8 718:2	617:21
858:19	768:8,11	864:13	718:12 737:2	619:17
874:23 875:9	770:11,12	867:25	747:5 797:22	620:17,18,24
880:16	772:3,15	theirs 814:21	812:9 817:6,7	621:3,13,19
881:18,19,23	773:14,17,20	theme 801:2	817:8,9,22	622:22,23
882:12 886:6	774:9,13	theoretically	819:4 820:13	624:8 626:9
906:13	775:3 776:12	830:8 839:18	823:4,4	626:10,13
908:13,16	782:3,4,6	theory 830:1	834:21	630:18
909:2 917:3,4	783:8,9,19,21	849:6	838:15	631:21,24,24
917:6,7,21,24	786:16,17	thereof 919:9	839:21	631:25
918:1,3,5,8,9	787:3 788:25	thereon 893:7	840:16	632:12
918:11	789:15,19	thing 562:18,24	844:12	634:20
testimony's	790:13,15	565:1 567:9	845:22	636:17
734:9	792:18,22	567:12 568:9	849:22 852:2	641:17,19
text 582:18	798:1,5,7	568:24,25	853:3,16	643:2,22
textbook 564:5	803:15	570:16 579:4	854:10 884:8	644:17 645:4
texts 831:19	805:15,17	628:8 711:6	896:17	645:4,12,17
thank 555:19	806:12 807:6	714:12	911:17 912:7	648:14
556:20	811:20 812:2	745:25	912:10	649:20
558:20	825:5,7	754:16 765:2	think 551:10	650:11,17
561:21	826:22	816:11,14	556:12 557:6	652:1,9 654:8
563:19,21	828:12	819:25	557:8,11,13	660:5 665:25
567:23	833:17,18,19	820:19,19,21	557:15,19,23	670:19,20
569:16	838:6,11	820:22 831:4	558:14	674:21,24
571:16 575:4	846:8 847:12	831:5 837:14	561:18 563:3	677:16,25
575:9 580:13	847:22,25	841:10 888:8	563:4,5 564:2	678:8 680:19
600:11,13	850:7 858:21	894:6 907:1	564:2,17	680:23,25
603:20	859:13 861:8	things 550:17	565:1,1,2,12	681:15
606:19,25	867:10,22	551:23 557:7	565:13,23,24	682:11,12,19

HEARING 10/1/2012

682:20 683:3	767:25 769:3	849:18	734:21	thought 547:13
683:6,15,18	769:15 770:6	851:24,25	735:20	569:8 599:2
684:20,20,23	770:8,10	852:2 857:14	737:11,20	636:14 686:5
684:24 685:7	773:12	858:18	738:3 742:1	712:17
685:8,11,15	774:16,19,20	862:17,22,23	745:25 746:5	715:22 759:5
685:17,20	779:21	863:24 866:3	768:11,12	821:14 834:9
686:5,8,14	783:13,23	866:5,10	769:6,8,9	839:9 849:24
687:3,4,5,14	784:8 791:8	867:4,24	770:10	906:8
687:20,25	791:21,21,23	869:15,16	772:15 774:9	thousands
688:16,17,23	793:11,20	889:22 893:5	782:6 783:15	907:4
689:16	794:16	893:6 894:12	788:25	three 547:4
691:20 692:8	797:10 799:6	894:13 906:6	790:13 798:7	623:18
692:17	799:12,23	907:14	805:21 806:3	657:23 658:5
694:21	803:4,5,21	910:21	806:22 825:9	658:24 659:3
695:15	806:11	911:20	826:22	659:5 733:8,8
697:20,25	812:11,13	thinking 645:7	828:18,25	794:9 802:2
698:6,8,9,23	814:23 815:9	645:15	829:3,6,11,17	815:17
699:4 700:1	815:10,13	698:10 733:9	829:22 830:2	871:10
702:22 703:2	816:16 817:9	798:18	830:12	882:14,22
703:11	817:19	799:15	831:23 832:3	883:6 907:8
704:13 705:7	818:14,17	thinks 755:14	832:10,25	three-year
706:10	819:17,17,19	third 702:21	833:4,18	851:15
707:12,13	819:25 820:6	717:15	836:18 849:5	threshold
710:6 711:2	820:6,9 821:3	751:17	859:13,15,16	571:4,5 578:6
711:17,17	821:4,18	789:18	861:21,23,24	645:23
713:5,5,16	822:18,18,20	889:21	867:10	755:15
714:3,11,20	822:21,24	THOMAS	870:10	throwing 883:3
714:22 715:3	823:2,5,6,13	544:2	872:22	thrown 567:13
715:5 716:6	825:3 827:7	Thompson	873:25 874:3	819:21
718:23 719:7	829:18	546:6 558:22	874:14	821:19
720:17,18	830:13,21	561:25 562:5	875:11,20	Thursday
721:6 723:5	831:14 832:5	563:3,19	889:4,6	572:6,7,11
723:22	832:20 834:8	564:16 565:7	890:23 893:4	734:1,4
725:24	834:22	565:12,18	893:10,14	789:23
728:10	835:14,15,18	579:9,12	894:4,19,20	tied 837:7,9
729:11	836:6,14	588:25	895:3 899:9	tiller 565:19
730:14,15	837:12,20,21	600:13,16	904:5,16	time 547:22,23
731:20	839:1,6,11,12	601:16 602:4	912:3,5 913:3	548:24 559:2
732:19	841:6,22	603:20,21,22	914:3,8,12,15	562:6 568:22
735:12	842:1,21	611:7 624:2	915:2,7,14,25	568:22,22
740:15,16	844:1,5,6,16	627:22	916:4,8,10	569:2 576:7
743:8 744:24	844:18,20,22	628:13 645:6	Thompson's	585:9 586:24
745:18 747:3	845:1,19,21	674:16,17	613:25	587:3,22,23
752:5 754:3	846:5,11,19	675:5 683:15	thorough	593:4,7 595:8
754:24 759:8	846:20,24	720:24,25	578:25	596:3,3
759:18 762:3	848:19,22	722:21,23,24	thoroughly	597:14
766:20 767:1	849:1,5,11,17	725:20	547:15	602:21,23,25

HEARING 10/1/2012

603:1,2,4,9	820:21 831:7	587:11	855:24	768:21
603:12 606:2	832:14	606:23	856:11 869:4	797:20 832:8
607:6 612:3,5	836:13	610:10	881:6 905:23	832:11
612:21	839:17	619:21	907:7 908:12	878:11
614:24 616:7	843:14	622:24	909:12,15	traditionally
624:25	848:21	628:20 636:3	totality 880:24	606:6 608:8
630:20 631:1	853:17	648:16 698:4	902:6 911:4	634:7 768:15
631:2 632:10	854:23,25	698:8 700:3	totally 581:10	836:22
632:18 633:6	855:8,12,14	709:1 711:11	581:18,19	876:17 879:8
640:4,5,6,19	855:17,17,19	733:3 737:5	709:18	train 849:24
641:1,4,4,5	856:3,7,8,11	751:1 771:24	749:11	transactions
641:15,19	863:17	774:3 775:2	touched 718:3	808:23
642:4 645:3	866:13 867:5	776:15 788:6	touches 796:20	transcript
645:14	900:19 919:9	796:18,19	track 570:14	543:6 601:22
647:12,18,21	919:13	826:18	620:21	660:13
647:21,25	timed 802:9	870:20 875:5	855:15	884:12,14
648:20	timeline 700:22	878:7 882:2	856:14	919:12
649:12	timely 699:23	882:10	tracked 857:8	transfers
653:17 666:1	times 565:6,7,7	907:19	tracker 615:12	756:14
666:20 674:2	587:18,25	today's 555:4,6	619:10,25	transformers
674:4 678:16	588:1,16	781:17	620:10,24	550:11
678:17	641:20 645:9	told 610:9	621:10,10	translates
681:16,21	675:3 685:9	712:17	623:17	742:14
684:3 686:22	708:17 709:6	754:15	688:16 743:3	749:23
687:2 692:1	709:11	814:22	743:5 744:2,3	transmission
694:17	718:19	894:12 895:7	744:4,5,7	743:17,18,21
700:22 707:8	719:14	904:21 905:2	769:11,15,19	808:2 817:2
719:1 732:4	881:14,14	911:10	trackers	831:10
734:13	timespan	Tom 558:19	590:20,22	transmit
740:11 743:1	603:13	tomorrow	616:22	813:22
744:12,23	timing 604:1	584:20 709:2	619:15,21	travel 719:1
746:19	604:11 764:8	873:24 874:8	625:24	treat 558:12
753:12	851:4,10,18	913:7,8,11	626:15	570:12,24
754:25	853:6,24	tone 651:21,21	636:18	783:11
755:22	863:4	tool 609:2	648:23	836:20
756:20	tiny 561:3	tools 616:15	650:24,24	treated 571:1,7
757:20	title 637:16	top 670:5,7	tracker-type	583:13
758:19	856:16	701:3 759:19	682:23	619:22 783:7
763:14,24	titled 695:10	topic 745:12	tracking 621:5	783:16
764:9 766:25	today 547:5	892:9 895:24	857:5 869:8	836:19 854:6
770:15 773:5	551:3 553:18	topics 718:14	trades 792:14	treating 558:12
787:24	555:1 563:11	718:15	trading 609:22	571:8 785:18
789:18 790:3	564:18 572:5	total 548:4	609:25 610:2	798:12
794:22	572:11	607:10 644:3	792:17	treatise 582:20
795:12,13	576:23	697:3 740:5	traditional	treatises
800:7,10	585:23	792:16	584:25	831:19
801:16	586:12	800:15,16,17	606:21	846:23

treatment	912:6 916:3,5	905:19,24	611:15	709:20
555:7 557:18	916:9 917:13	906:17	615:22,23	718:23 719:9
568:11	Tripp's 821:14	907:11,20	616:2 629:24	723:13 725:9
574:25 584:3	trouble 609:12	908:4,18	637:21	726:5 776:14
586:6,10	609:15	909:6,8,9	652:22	782:10 802:1
589:20 594:2	686:13 705:1	910:2,9,25	669:14 678:9	809:21 835:5
626:12 658:9	troubling	911:7,8	692:11	835:5 838:14
797:25	844:10,17	919:11	693:19	838:15 842:9
830:11	true 553:9	true-up 549:21	705:20 706:5	842:15 844:2
trend 632:4,6	576:19 585:4	585:4 603:6	706:6,21	851:15 889:2
694:13	587:21,22,25	604:4,20	708:22	897:5
912:16	588:2 617:9	605:3,9	711:18 724:5	two-way
trending 632:4	644:15	607:11,12	725:9,25	619:10
trends 632:1	681:18	613:5 624:15	726:3 732:1	621:16
640:7 648:17	689:22 721:9	655:8 666:14	740:17 741:8	623:16 744:8
trickle 862:20	722:13 725:2	681:22 682:5	744:1 752:10	type 621:11
trigger 755:15	737:8 738:20	682:10 758:4	753:11	622:25 754:7
Tripp 810:11	738:22 739:9	764:8 802:7	756:17	769:19 833:9
810:13	739:14,20,21	802:11 863:3	794:25	847:13 884:7
850:16,22	744:21	863:7 866:10	809:14 819:5	896:17
870:12,13	765:20 766:1	866:20	830:14,14	904:23 911:4
871:17	766:3,7 768:4	truly 678:1	852:20	types 743:24
872:24 873:3	768:7,15	697:17	863:25	866:16 869:5
873:14,18	771:20 788:2	trust 689:15	901:15	879:9 898:6
877:1 878:3	802:3,13	815:3	turn 565:3	902:7
885:18,20	810:24	truth 784:24	589:25	typically 548:6
886:13,15	819:10	901:9	782:22 785:2	570:5 585:4
887:16	830:20	try 547:14	884:14	620:18 626:5
888:17,18	866:19,21	562:19	turning 584:19	699:15
889:9 890:5,7	875:9 878:7	566:16 567:5	Tuxedo 545:17	833:10
890:19,25	878:14 879:1	567:9 569:23	TVs 551:22	862:23 898:3
891:19,21,24	879:2,7,14,19	570:18 575:1	twice 896:17	T&D 804:14
892:5,8,11,14	879:23 880:4	584:1 643:7	two 550:17	
892:18 893:9	880:11,18	657:18	592:19	U
893:11,16	881:11,24	704:25	593:18	UE 564:11
894:7,12,15	882:16,17,21	708:10	602:19 603:1	566:13
894:17,25	883:15,21	710:13 711:9	609:1 623:18	uh-huh 582:15
895:6,7,18,19	884:2 885:8	712:7 714:4	628:1 643:24	583:13
895:23 896:1	885:24	715:19 720:8	644:4 654:15	589:19
898:12,15,19	886:10	730:24,25	657:23 658:5	599:12
898:22 899:5	887:10	776:20	658:24 659:3	604:13 607:3
899:14	890:10 896:9	859:18	659:5 671:21	614:3,7 616:4
902:10,16,21	896:13,22	907:14	676:24,24	617:3,5
903:8,20,22	897:22,24	trying 569:19	688:23	618:11,23
904:7,11,13	899:16	569:21	692:12,18	622:17 623:1
904:20	901:13,23	599:13	704:14	623:6,9
911:12,15,24	902:4 903:5	608:25	705:18	625:23

632:14	807:20	644:3 666:1	under-recove...	779:5 832:13
633:22 641:9	868:14	695:20	551:14 552:6	unseasonably
641:12	undermines	716:15 731:1	585:6	712:18,19,25
642:11,20	568:1	738:15 748:6	unfair 757:7	unusual 570:9
644:13 646:1	understand	748:7 762:17	781:21 839:7	656:3 729:24
646:18 647:6	558:13	767:8 783:1,2	848:4	729:25 732:3
647:17 649:8	567:25 569:4	783:15	unfamiliar	753:1 832:17
649:13 657:8	593:23 597:2	824:12	565:15	898:2 900:4
665:8 666:18	597:9 600:24	825:25	unfavorable	unusually
667:19 668:8	604:8,17	828:18,24,25	549:15	679:21,22
668:24 670:2	608:25	859:4,8	679:22	update 796:16
673:25	610:16	884:23 902:5	Unfortunately	796:20
682:15	615:25	understood	572:12 612:4	797:22
684:14	625:20	692:13	653:23	updated 607:9
688:19	629:12,17,20	695:25	unilaterally	666:8,12,13
691:18	629:23,25	799:17 878:7	623:20	667:11,12,18
692:15	630:3,18	undertake	unimaginable	updating
695:16 697:6	634:2 637:11	589:12	809:1	674:19
707:3 712:16	642:21	under-collect	unintended	upstairs 627:22
718:9 723:20	644:15	620:22	845:23	upstream
727:10,21	681:13 684:5	852:17,18	Union 543:12	784:25
731:19 861:3	692:9,12	under-collect...	544:14	urge 708:20
862:19	695:6 697:10	852:11	585:24	785:6
864:19	697:11	under-earn	unique 557:4	usage 551:16
865:21	706:19	631:1,3	863:24	551:25
869:17	709:18	711:25	United 818:10	564:19 584:8
ultimately	713:10	under-earned	885:6,12,23	use 548:24
595:21 698:5	715:14 723:6	726:1 748:2	units 709:25	551:18,21
723:9 756:25	724:4 729:7	under-earning	719:23	556:5 557:22
816:24	731:20 748:9	630:12 631:5	804:17,19	557:24,25
830:15	748:17	631:13,17,23	unknown	583:9 592:18
unable 630:12	760:13 783:2	632:7 691:23	756:2	595:13 617:7
794:18	783:3 791:15	694:23	unlimited	637:15
900:17	818:12	711:19	845:8	699:15
907:19	822:23,24	714:10 715:2	unpredictable	700:23
unaudited	831:12,21	721:7 729:13	620:20	708:10
756:2	852:1 854:18	731:25	621:24 657:7	709:13
uncomfortable	865:24	765:25 767:2	unquote	722:22 753:4
622:15	880:15,16	767:12,22,23	807:20	753:22,24
uncontrollable	883:17	under-earnin...	unreasonable	760:11,11
620:20	890:24	692:6	808:15 819:9	766:12 769:7
621:24	901:16 904:2	under-funded	819:16,18,23	777:4 780:19
underachievi...	906:12	844:23	821:14	794:13 810:7
619:4	understanding	under-invest	unrecovered	810:8 821:21
underground	599:7 601:19	598:21	549:25	822:25 852:1
700:8	617:11 620:6	under-recove...	603:25	854:10,12,14
underlying	627:8,13	639:24 640:2	unregulated	854:23 863:7

863:22 864:2 910:7 useful 573:23 uses 779:6 780:19 809:9 876:17 USOA 756:21 usually 782:9 802:7 810:19 821:20 Utilitech 809:22 utilities 547:19 547:23 550:15,24 551:4,5,15 553:2 554:12 564:7 586:20 610:14,15 627:9,11 680:14,21 684:7,19 686:7,21 781:13 796:25 804:25 807:19,24 808:5 809:8 810:5 821:24 824:11 849:17 879:12 880:4 886:10 897:2 897:10,17,25 898:3,6 899:18 900:2 900:10,12 901:1,20,23 902:1,4 903:24 905:12 906:15 908:4 908:7,10,12 908:17 utility 549:13 550:10,17 551:10 561:1	580:18 582:18 593:25 598:2 610:10 736:2 766:5 771:2 781:5 784:23 796:13,14 797:1,6 802:23 804:4 808:1 811:14 817:11,12 821:5 823:3 830:7 831:20 832:9 834:24 839:2 847:4 849:13,14,14 867:18 872:11 878:11,14,17 880:1,8,10 885:6,23 907:10 utilize 611:24 779:15 858:24 utilized 688:25 896:20 utilizing 611:24 <hr/> V <hr/> vacuum 694:13 vagaries 694:9 696:1,5 valid 839:11,12 valleys 639:17 642:24 value 610:1 612:15 696:19 697:21 698:5 753:20 754:14 812:18 817:6 833:8 valued 610:10 values 761:17	800:5 variable 603:9 variables 798:21 813:17 908:19 variation 711:24 712:1 variations 724:7 various 572:3 804:2 808:24 828:8 886:21 887:9 897:15 897:22 899:23 vary 639:5 vast 808:7 vegetation 621:10 650:23 854:9 veil 823:11 vendor 861:5 verify 750:20 887:22 891:17,18 version 745:10 745:19 746:1 748:23 749:8 versions 576:12 771:9,9 versus 556:10 581:13 595:18 617:22 634:4 637:22 643:9 675:15 681:17 697:9 710:16 viable 687:3 vice 575:22 856:17 860:14 view 626:5 634:14 636:15,18 637:20	728:25 743:6 792:2 795:1 838:2 878:8 893:23 911:4 viewed 757:3 897:14 899:22 views 596:22 vintage 700:1 violate 595:4 violates 597:6 violation 595:25 596:23 virtue 699:11 visceral 834:3 visual 601:20 voir 602:12,14 893:4,12 894:8,18,20 volatile 620:20 621:15,24 657:2,6 688:21,22 volatility 688:18 803:8 volume 543:9 660:13 792:8 792:14,17 914:17 volumes 796:17 voluntarily 858:12 von 545:12 vote 832:15,18 873:25 874:4 VP 719:17 VUYLSTEKE 545:1 <hr/> W <hr/> W 544:20 Wabash 703:5 Wabash/AEP 723:11 wait 556:23 644:7 647:25	653:25 681:20 682:4 775:25 862:22 waiting 693:15 waive 783:18 842:4 waiving 841:5 Wakeman 719:16 walk 804:7 Wall 651:11 want 547:6 566:19 570:24 585:14 586:5 591:20 592:14 606:6 627:17,18,24 628:16 630:13,15 637:14 639:25 640:20 641:2 653:16 654:24 678:1 681:14 685:21 690:18 691:15 692:11 696:22 707:11,12,16 709:17 714:25 720:19 721:1 723:9 728:19 728:24 733:2 733:3 746:11 746:17 747:24 748:6 748:10,17 754:22 758:22 761:10 775:14 778:11
---	--	--	--	---

HEARING 10/1/2012

786:24 820:2	632:20	731:14	679:19,22,22	Weiss 627:18
821:6 827:8	638:16	737:18	680:2,6	629:24
835:2 837:14	658:20	741:16 744:7	693:12,13	665:18 709:9
842:5 848:25	694:15 720:7	744:8 753:19	694:6,7,11,14	749:25
849:25	720:8 740:20	756:22 757:4	694:15	750:13,16
853:16 859:2	750:7 751:19	759:24	695:22,23	794:19 800:5
859:5 873:16	763:25	760:19	696:2,5,8,17	803:6 860:22
880:14	830:19	768:23	697:15,16	860:23
892:12	867:16 908:9	778:19 781:5	701:17,21,24	welcome
893:21	watching	783:7 785:7	702:1,1,10,10	636:23
907:22	747:15	792:11	702:11,11,23	838:12
wanted 618:19	water 808:4	794:15	703:14 704:7	850:11
766:1 828:14	way 549:12	799:12,16	705:11	WENDY 544:2
839:15	555:22 557:1	802:6 811:4	709:19,20,22	went 560:12
844:21 878:6	558:12	812:6 816:2	710:1,4,5,7	568:22
889:4	559:22 560:6	818:22 820:5	710:12,16,19	701:17
wanting 685:21	562:14	822:19 832:1	710:21 711:3	773:11,25
753:4 784:1	563:17 566:1	845:3,11	711:6,7,20,22	794:22
wants 775:16	566:18	851:25	712:1,4,15,18	837:21 886:5
832:14,15	568:18,20	857:14 863:7	712:19,25	891:13
warm 632:20	571:14	869:8 891:3	719:22,23	weren't 649:11
649:19,22	581:15	891:13,16,17	720:6,9,14	799:8 816:12
711:22	584:11,15,16	894:24	724:3,7,7,15	846:25
712:18,19	585:3,12	905:14,15	724:20 725:1	we'll 547:5,9
713:1 762:6,7	586:4 588:10	ways 557:20	725:6,7,11,11	562:6 575:5
warmer 710:7	590:25	558:7 559:16	725:12,14,15	611:9 642:7
710:11 711:4	595:13	581:1 616:2	725:16	654:15,16,20
711:7,20	611:17	651:1 687:11	726:18	660:8 682:6
Warner 677:11	614:25 615:4	701:25 714:3	729:20,24	690:8 705:23
697:7 706:7	615:16,20	715:16	730:8,11	707:21 709:7
Warner's	623:10	720:18 813:1	732:6,7,8	712:7,10
696:24	631:25 633:5	813:2,3,5,5	741:19	716:8 733:13
warrant 584:8	634:8 641:17	813:13	752:25 754:2	734:24
700:6	645:4,9,10	weather 549:15	754:5,7,11	735:14
Warren 786:19	646:4,6 650:6	549:15 631:7	759:20	741:23
787:8,12,13	651:20	632:20 633:8	761:25 762:7	746:18 776:4
787:16,17	653:23	633:11,14,17	811:1	776:5,10
788:10	658:17,17	638:18,21,24	weather's	786:18 789:1
789:13	687:6,12,14	638:25 639:6	696:4	798:2 807:4
915:16 917:3	691:3 692:20	642:19,24	website 634:20	824:20
wash 852:19	693:1 704:1	643:2,4,22	Wednesday	840:15
Washington	704:18	649:15,18,23	709:3	859:18 870:4
545:13	706:15	650:2 656:2	week 622:21	873:1,17
787:15	707:13 717:1	671:3,25,25	weeks 604:6	874:6 893:11
wasn't 589:8	721:5,15	672:3,7 674:5	855:22 856:6	893:22 912:1
599:18	722:18	676:14,14	weighed	912:1 913:6,6
615:18	730:24	678:3 679:17	571:24	913:7,10

HEARING 10/1/2012

we're 547:4	729:12 731:9	649:1 651:2,2	646:17	873:12,13
556:4 557:13	731:25	654:14	649:19 710:7	874:12
560:24	733:16	656:20,25	712:18 762:6	877:11 879:5
562:15,18	761:25 774:4	667:18 681:2	wires 550:11	887:20
564:16,22	775:11 776:8	683:24	559:10	888:11,24,25
568:14 569:1	784:1 806:20	689:13	wise 883:17	889:24 890:8
570:10	814:6 815:20	699:22,24	wish 660:6	891:18 895:9
581:15	816:10,13,19	701:2,10,12	697:6 872:19	895:14
583:21 596:2	816:21,22	701:25,25	withdraw	898:12
596:3 608:16	820:10	711:10,21	777:25	902:10
609:5 611:24	824:19	715:1 719:3	904:11,13	witnesses 562:3
613:3 614:23	837:12,13	726:6 767:21	withstand	573:8 574:22
615:16,17,22	838:16,22	816:15	553:6	701:11
615:23	839:17	817:19 820:7	witness 553:23	809:17
618:25	840:23	838:24	572:11,11	810:24
619:22	841:16	851:11	575:5,7 579:1	836:11
620:15	843:23	852:24,25	628:14	839:19
621:21 622:4	845:21 852:3	853:16,17,18	659:10,14	850:10
624:18	852:20	853:18,20	660:5 665:11	873:10,24
630:19 632:6	853:24 854:1	854:8,8,9	690:7 696:12	908:12
636:10	854:19,21	865:8 874:23	696:14 703:3	909:13
640:13 642:7	860:7,23	894:6	703:18 706:5	WLB-ES1
645:17	863:25	whatsoever	706:10 708:2	696:11
647:11,18	865:24	779:14	709:2,6	WLB-ES2
648:1 652:16	866:11,12	785:10 835:7	716:15 727:8	675:19
653:13	867:6 869:8	wheelhouse	727:10,14,17	692:10
654:19	872:10	647:16	727:21,25	WLB-ES3
656:22 665:1	887:14 893:8	whichever	730:18	696:7,14
669:10,14	901:15	705:15	732:23	702:9 730:17
670:14,15	905:17	whisperings	733:19	WLB-ES4
677:19,22	907:18	732:25	734:10,15	702:9
680:4,7 681:6	909:16	Whoever's	735:6,10,11	wonder 600:14
681:19,21	we've 564:19	709:12	735:16 738:4	893:4
682:7,8 683:2	571:7,9	wholly 574:6	741:7 742:10	Woodruff
685:7,11,17	580:20,25	widespread	765:7 770:14	543:17 547:3
687:15 692:1	582:8,25	551:18,21	770:17,18	555:20
694:17,21	588:13,19	willing 586:3	772:5 775:8	558:20
699:17	590:4,6,6	588:15 615:9	776:23	561:22
700:23	606:7 611:20	615:19	783:24	563:21
708:22 711:8	615:20	841:12	786:14,19	571:16 575:4
711:18 712:2	616:14	win 841:14	787:4 789:15	575:8 577:5,8
713:17	620:18 624:5	842:1,5	789:16,19	577:16,23
714:10 715:1	624:14	winnow 828:9	790:8 805:17	578:2,5,10,21
715:6 716:19	625:24 642:9	828:9	805:18 811:2	579:9,20
721:7 723:3,5	645:15	Winston 545:9	836:1 850:10	580:1,4,8,11
725:18,24	647:22	winter 633:15	850:11,12,14	596:13
728:25	648:25 649:1	639:1,9	850:22 873:1	600:12,15

HEARING 10/1/2012

601:19 602:1	786:17 787:7	904:3,11,14	works 549:12	649:10
602:5,10,13	788:12,15,19	904:17	584:15,16	665:14
603:16,21	788:22,24	911:13,18,24	585:3 599:8	710:25
611:9 618:14	789:1,4,7,9	913:5	717:1 769:1	725:25
625:5 636:24	789:12,16	WOODSMA...	781:5 802:6	746:14,21
654:14,19	790:9,12,14	545:8	825:19 826:1	747:2 786:2
656:8 659:12	790:16	word 579:22	855:6 863:7	795:18
660:6,8 665:1	792:20,23	898:10,10	work's 862:24	847:13 893:8
667:1 671:19	798:2,6,8	words 549:12	world 559:8,9	wrote 581:25
674:15 675:7	803:17	576:14	562:9 563:5	
675:10	805:16,18,23	589:21	816:1 837:19	<hr/> X <hr/>
676:20 690:5	806:1,5,8,10	608:14 687:7	838:5	X 794:10
690:8 696:13	806:13,16,24	702:17	worn 561:7	842:17 914:1
701:8 702:4	807:2 811:21	753:21 781:9	worry 844:13	
707:24 708:5	812:4 823:16	work 565:21	worrying	<hr/> Y <hr/>
708:24 709:4	825:7 826:20	581:13 601:4	587:15	yeah 570:15
709:7,12	828:13 829:8	624:21	worse 548:25	590:10
712:9 715:11	833:19 838:7	653:23	781:16	615:22 622:7
716:10,14	846:7 847:24	685:23 718:8	808:11	627:15,25
720:23	849:25 850:8	721:11	worth 669:20	628:10 636:9
722:21	850:13,24	776:19 781:1	717:5 751:17	646:14
725:21	859:12	781:3,7,14,18	763:5,7	666:10 675:4
732:21,24	861:21	781:20	827:22	699:13 704:5
733:12,16,20	867:12,23	782:12,25	wouldn't 587:5	715:13
734:12,16,20	868:1 870:1,4	785:12,19	598:11 616:8	724:21
734:22,24	870:9,11	808:20,21,24	629:21	728:15
735:2,8,11,14	872:19,23,25	808:24 809:3	631:12 635:3	762:12
735:17	873:3,8,16,22	809:3,10	638:9 646:21	763:25
737:15,21,24	874:1,5,10	828:1,2	646:22,22	773:22 815:6
738:5,8,10	875:13,16,22	831:11 843:7	658:14	842:23 855:5
741:23	877:12 878:1	844:3 845:2	670:10	868:17 888:8
742:18 745:1	885:19	862:9,13,14	691:19	year 551:16,16
746:18	886:14	worked 588:16	693:13 732:5	557:22,25
747:11	887:24 888:2	627:12	756:25 760:2	558:5 559:7,8
757:21,23	888:6,17	685:22	761:1 793:20	560:19
761:6 762:10	889:4 890:6	827:13	808:14	595:24 623:5
765:6,11	890:21 891:5	860:19 886:2	818:22 854:2	623:8,22
768:10 769:6	891:19,23	working	871:8 905:8	633:12 640:5
770:12,19	892:1,6,10,12	563:16	906:24	640:6 641:2,5
772:1,6,9,13	892:15	615:15	writeoff 716:25	647:12
772:16,18,20	893:11	711:23	717:3,12	648:19,20
773:15,18,21	894:15,18	730:21	write-off 677:9	649:19 650:1
774:7,10,12	895:18,20,25	809:14,20	written 692:21	650:1,1,2
774:14 775:4	898:14,18	828:15	717:25	652:12 659:6
775:15 776:2	899:7,10	835:19 843:6	wrong 559:18	669:16,24,25
776:7 782:4	902:12,20	844:2 855:13	560:5 565:2	669:25 670:1
783:9,17,20	903:10,20	862:6 886:3	598:16,24	670:4,7,9,10

670:10 684:9	897:16,22	\$2.8 784:5	1	634:3 638:19
693:15 710:6	899:24 911:1	\$200 751:24	1 543:8 557:24	639:22 642:5
712:21	911:7	\$240 675:3	576:15	643:16,18
715:25	year's 669:20	\$3.8 786:8	577:11 578:1	646:7,8
717:13	821:1	\$30 673:12	579:24 658:6	647:23
724:16 767:9	yield 691:1	679:2,3	881:9	670:22 673:3
784:5,6	805:21	691:10,10	1st 642:7	674:2,9 676:6
785:16 826:2	York 560:4	703:13	862:18	679:16
837:16 864:5	651:10 810:5	\$36 754:16	1.5 880:17,23	690:25 691:4
866:6,7 869:6	813:8	\$37 612:24	881:8,10,12	691:6,8 716:2
869:7	young 559:23	614:2,8	885:1 900:24	726:9 731:11
years 548:6	560:16	635:24 636:2	1.7 814:13	731:17,23
549:4,7	youth 559:13	636:5 666:8	1.9 861:10	749:13,18
551:10 559:6	559:14,23	667:4,20	1.99 814:14	750:24 751:4
560:7 564:20	565:1	668:16	1/10 576:14	752:1 754:15
565:4 566:9	you-all 623:4	\$37.6 549:24	667:8	759:6,17,18
568:21	637:11 858:8	550:3	1:30 733:13	759:24 760:3
571:13		\$376 809:15	10 591:5 652:7	760:4,23
573:16 574:9	\$	\$5 864:20,22	698:13,17	761:2 762:3
574:12 581:2	\$1 807:17	\$53 763:7,8	730:4,13	765:17
583:12 584:6	825:20 864:4	\$540,000 763:5	731:16 787:5	766:15
584:6,7 587:2	864:8 881:14	\$6 612:24	787:18	767:25
587:2,4,7,10	881:20	668:13,19,22	788:10,12,17	100 583:11
588:3,14	882:12 910:6	669:1,3,16,23	917:2	612:9 670:15
590:2,3,5,8,9	\$1.5 883:14	670:5	10.2 626:22,24	689:18
604:7 623:18	896:3 907:23	\$600 552:18,19	630:7 633:19	811:16
641:7 645:10	908:9 912:22	834:13	643:3,9,13	816:23 819:5
645:18 647:7	\$1.538 807:15	\$600,000 827:2	671:4 672:17	820:20,20
648:1 650:19	\$1.6 885:2	\$637 550:1	673:2,22	821:9 832:12
650:25	\$1.7 807:13	\$7.7 808:6	678:2 679:19	838:10
651:13 654:5	\$1.9 825:25	\$700,000	680:7 693:12	864:24
654:5 656:21	912:14	837:17	693:13,17,24	100ish 653:3
657:24 658:5	\$1.922 807:10	\$80 624:12	694:7 695:14	100,000 907:3
658:24 659:3	\$10 906:23	652:23 653:2	697:18	101 544:21
668:6,10	907:4	\$89 677:3	708:18	545:5 713:18
669:8 675:3	\$100,000	713:13	727:18 730:5	11 576:1 577:2
685:10,22	761:20	\$9 784:6	730:13,15	577:5 580:5,6
689:1 767:7	\$15 666:9,10	\$90 677:3,10,15	766:16	648:25
767:20	751:13	692:19,21	10.23 679:16	654:16
800:19,19	761:12	693:3 717:2,5	691:1 692:2	751:14
801:19 802:2	\$16 671:1	717:8,11,12	694:5,6	11HC 575:10
804:1 827:12	679:8 690:19	717:15,20	754:18	577:2
852:10	\$17 703:3,4,5	749:22 750:9	10.5 637:25	11NP 575:10
853:14,18,22	\$2 719:11		645:2 693:20	11NP/HC
855:1 864:16	871:15	0	694:3	917:4
865:7,17	\$2.1 807:11	097 667:16	10.53 572:19,22	11.52 748:20
870:24 871:2	814:10		630:5,16	749:8,11,12

749:14,16	12-year 647:1	1900s 564:11	624:15 633:9	211 545:2
759:9,17	12/15 807:14	1901 544:3	640:16	22 576:14
111 544:7	12:30 732:24	1913 560:6	666:12,12	590:1 667:6,7
12 576:2 577:2	13 575:11	562:10	669:19	221 545:5
577:5 580:5,6	576:4 577:2,3	1950s 551:18	679:25	2230 546:2
628:17 633:2	577:5 580:5,6	1980s 564:10	712:23	23 590:11,13
633:7 641:24	607:4 850:20	1997 589:8	717:14 731:8	232 627:19
641:25 642:3	917:7	597:23	751:15 786:7	234 736:23
642:17,25	14 884:18		807:13	737:12,16
643:16	15 584:21	2	814:13	738:1 918:1
647:20 649:7	607:8,15	2 628:4,5,5	823:25 824:4	235 918:3
650:3 655:22	674:19	893:7,17	824:15	235HC 737:17
672:11,18,19	807:16	2nd 549:23	2011-2012	738:2
673:3 674:2	809:16	2:30 776:5	729:25	236 874:24
675:22	815:20	20 559:6	2012 543:8	875:12,13,18
679:22 691:4	824:23 871:4	645:10	572:19	918:5
691:8,9,12	871:8,14	647:21	628:18 630:6	237 627:24,25
707:14	882:16,21,25	660:13	630:17 633:1	654:25 655:8
712:22	883:10,12	853:13,21	633:9 645:1	665:5 670:18
715:17 726:1	15th 545:13	912:21	655:18	672:3,10,23
730:3 731:9	15-month	914:17	666:14	673:17
751:18	826:1 853:19	20th 551:17	669:19	675:16 676:6
761:14	867:7	20-year 785:15	672:11,15	679:4 701:12
765:18	150 572:23	785:23	673:1 674:5	701:12,13,17
881:14	655:12,16,25	200 544:7	675:23	701:19
12HC 575:10	16 581:22	546:2,9 736:6	679:23,25	703:16 704:2
577:2 850:19	583:6,7	737:12,15	707:11,15,18	704:2 713:4,8
850:19	584:21	738:1 917:21	712:21	713:11 714:1
12NP 575:10	808:16,20	2000 672:17	715:17,21	715:20 721:3
12NP/HC	897:20 898:9	2000s 564:11	726:2 727:9	721:4 722:13
917:5	898:17 899:6	2002 560:14	727:20,24	724:22 745:6
12-month	917:17	589:4 877:17	730:3,12,12	745:20 749:3
630:5,16,22	16's 898:4	2007 566:6	731:10	758:22
631:8 632:25	17 607:2,4	572:16,17	765:18 786:7	762:13,14
633:13,23,25	808:16,20	587:2 641:11	801:23 899:3	763:11
639:14 640:2	883:2	641:13	2013 658:6	773:25
640:10 641:4	18 576:11,12	647:19	202 736:9	24 590:12
641:14 642:2	586:17 607:2	678:17,19	203 736:17	25 559:6 591:4
642:4,22	880:22 881:3	707:9 732:15	737:12,16	652:6 698:13
643:2 645:3	881:11,14	883:3	738:1 917:22	698:17
647:3,22	883:13	2008 686:15,19	208 736:20	27th 824:3
655:7,18	18-month	2009 678:17,19	737:12,16	29 824:15
673:1,14	751:16	732:16	738:1 917:24	
677:4 692:3,6	825:19 826:6	201 736:9	21 577:10,25	3
693:5 712:15	19 543:9	2010 807:12	579:23	3 748:15
712:23 723:2	584:20	814:11	668:15 826:5	3:20 806:25
731:9 751:13	19th 899:3	2011 607:11	826:6	30 548:6

603:13	578:1 579:24	668:6 707:25	575 914:7	66149 544:3
630:17 640:2		708:1 719:21	917:4,6,7	662 914:17
641:16	4	720:4 750:15	580 914:7	664 660:13
645:10 647:1	4 590:1	888:1,2	917:4,6,7	674 914:12
649:2 668:7	40 548:6	917:10		675 914:12
668:22 669:8	645:18 668:6	50s 699:25	6	690 914:13
671:2 673:8	668:7,10	500 719:5,8	6 670:6,10	
675:1,2 679:9	669:8 675:1,2	734:6 808:18	674:21 675:3	7
679:10,16	675:3	501 734:6	748:12	7 586:18 607:4
690:22 691:4	40-year 603:13	502 734:6	6:15 873:5,6,21	7th 823:25
691:5,12	668:22	51 887:25	60 641:24	7/30/2012
695:17	682:25	888:3,4	642:4	917:13
707:15	400 544:21	917:12	60s 551:19	70s 551:19
731:10	400-some	52 892:15,16	699:25	703 914:13
754:17	890:22	917:14	60-month	705 545:21
862:23	400-whatever	53 898:18,20	641:19,21	709 914:14
30th 628:18	890:20	899:6,7,12	600 545:13	712 914:14
630:6 633:1,2	401K 777:22	917:16	914:8	715 914:15
645:1 649:7	777:22,25	54 902:13,14	602 917:9	720 914:15
672:12,20	778:2,6,9	904:18	603 917:9	725 914:16
673:1 679:23	782:16	905:18 907:9	611 914:8	733 914:20
715:17 726:2	784:11,12,18	917:18	614 545:21	735 915:2
30-year 674:25	791:9 798:14	54HC 902:20	618 914:9	738 915:3
725:15	798:19	902:23 903:9	620,000 882:8	917:21,23,24
31st 605:4	406 772:6,11	903:10	625 914:9	918:2,4
607:12 613:6	406HC 772:1,4	547 914:3	63101 545:13	741 915:3
672:11 863:8	406NP/HC	558 914:3	545:22	742 915:4
863:12	918:7	563 914:4	63102 545:2	745 915:4
312 544:11	407 772:2,6,11	571 914:4	63103 544:4	757 915:5
314)231-4181	407HC 772:4	573)424-6779	63119 545:17	761 915:5
545:22	407NP/HC	545:18	637 914:10	762 915:6
314)259-2543	918:9	573)443-3141	650 546:2	765 915:6
545:3	408 772:2,5,6	544:8	65101 544:22	768 915:7
314)446-4238	772:11	573)556-6622	545:9	770 915:9
545:14	918:10	545:6	65101-1575	772 915:10
314)554-2237	41 884:14	573)635-7166	545:6	918:8,9,11
544:4	424 887:7	544:12	65102 544:17	773 915:10
33 858:19,22,23	888:19	573)636-6758	546:10	774 915:11
360 546:9	424-page 888:9	544:22	65102-0456	776 915:13
3600 545:2	456 544:11	573)751-3234	544:12	782 915:14
37 577:10,23,25	49 602:5,6,9,10	546:10	65102-2230	783 915:14
579:22	603:17,18	573)751-3321	546:3	787 915:17
607:13,14,19	917:8	544:17	65205-0918	917:3
668:13		573)751-4857	544:8	788 917:3
674:18	5	546:3	654 914:10	789 915:19
370 550:3	5 736:2	573)797-0005	656 914:11	790 915:20
38 577:11	50 645:18	545:10	661 660:13	792 915:20

798 915:21				
8				
8:30 547:2				
913:11				
80s 551:21				
803 915:21				
807 545:9				
915:24				
825 915:25				
850 916:3				
851 916:3				
859 916:4				
867 916:4				
868 916:5				
870 916:5				
871 545:17				
916:6				
874 916:8				
875 916:9				
918:5				
878 916:9				
888 917:13				
89 717:24				
892 917:15				
898 917:17				
899 544:16				
917:17				
9				
9 586:19 676:3				
676:4,5 727:4				
727:13,14				
728:3 729:8				
730:12 903:9				
9th 544:7				
9.85 716:2				
90 717:25				
750:2,6				
90s 551:21				
902 917:19				
904 917:19				
912 916:10				
918 544:7				
99 748:22				
750:8 762:15				
763:4,6				