

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF MISSOURI
PUBLIC SERVICE COMMISSION

TRANSCRIPT OF PROCEEDINGS

Oral Argument

June 30, 2005
Jefferson City, Missouri
Volume 8

Southwestern Bell Telephone, L.P.,)
d/b/a SBC Missouri's Petition for)
Compulsory Arbitration of)
Unresolved Issues for a Successor) Case No. TO-2005-0336
Interconnection Agreement to the)
Missouri 271 Agreement ("M2A"))

KEVIN A. THOMPSON, Presiding,
DEPUTY CHIEF REGULATORY LAW JUDGE.

JEFF DAVIS, Chairman
CONNIE MURRAY,
STEVE GAW,
ROBERT M. CLAYTON,
LINWARD "LIN" APPLING,
COMMISSIONERS.

REPORTED BY:

JENNIFER L. LEIBACH, RPR, CCR
MIDWEST LITIGATION SERVICES

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES:

PAUL G. LANE, General Counsel - Missouri
LEO J. BUB, Senior Counsel
ROBERT GRYZMALA, Attorney at Law
MIMI MacDONALD, Attorney at Law
SBC Missouri
One SBC Center, Room 3518
St. Louis, MO 63101
(314)235-4300

FOR: Southwestern Bell Telephone, LP
d/b/a SBC Missouri.

CARL J. LUMLEY, Attorney at Law
Curtis, Oetting, Heinz, Garrett & O'Keefe
130 South Bemiston, Suite 200
Clayton, MO 63105-1913
(314)725-8788

FOR: MCImetro Access Transmission Service.
CLEC Coalition.
Missouri Network Alliance.
ICG Telecom Group.

BILL MAGNESS, Attorney at Law
Casey, Gentz & Magness
98 San Jacinto Boulevard, Suite 1400
Austin, TX 78701-4286
(512)481-9900

FOR: CLEC Coalition.

MARK JOHNSON, Attorney at Law
Sonnenschein, Nath & Rosenthal
4520 Main Street, Suite 1100
Kansas City, MO 64111
(816)460-2434

FOR: Navigator Telecommunications, LLC.
Charter Fiberlink.

BRETT D. LEOPOLD, Attorney at Law
Sprint
6450 Sprint Parkway
Overland Park, KS 66251
(913)315-9155

FOR: Sprint Communications Company, L.P.

1 CHRIS SAVAGE, Attorney at Law
Cole, Raywid & Braverman
2 1919 Pennsylvania Avenue NW, Suite 200
Washington, D.C. 20006
3 (202) 659-9750

4 FOR: Charter Fiberlink Missouri.

MICHELLE S. BOURIANOFF, Senior Attorney
5 KEVIN ZARLING, Attorney at Law
AT&T
6 919 Congress Avenue, Suite 900
Austin, TX 78701-2444
7 (512) 370-1083

8 FOR: AT&T.
TCG Kansas City.

9

10 DAVID A. SHORR, Attorney at Law
Lathrop & Gage
11 314 East High Street
Jefferson City, MO 65101-3213
12 (573) 893-4336

13 FOR: WilTel Local Network, LLC.

14

15

16

17

18

19

20

21

22

23

24

25

1 P R O C E E D I N G S

2 JUDGE THOMPSON: Good morning. We're back for
3 hopefully the final exciting day of oral argument of the SBC
4 arbitration case, No. TO-2005-0336. And I believe we
5 interrupted Mr. Gryzmala's presentation in order to take a
6 couple people out of order so that they could leave, folks
7 who didn't need to be back here today. So Mr. Gryzmala, if
8 you're ready, step on up to the podium, and maybe you can
9 remember where you were. I'm afraid I don't.

10 MR. GRYZMALA: Okay. Thank you. Good morning
11 everyone. Bob Gryzmala, Commissioners, for SBC Missouri. To
12 set it up as it were, I believe where we were yesterday was
13 having wrapped up Items 1 and 2 of Section 5, that being the
14 point of interconnection within SBC's network, Number one.
15 Number two, the 24 DS1 threshold for POIs. Those having both
16 been wrapped up.

17 I would pick up, if I may, with Item 3,
18 intrabuilding cable, and 4. As I mentioned yesterday, my
19 colleague, Leo Bub will pick up 5, SS7, after I'm finished,
20 and I will do 6 and 7 right now. I anticipate 10, 15 minutes
21 max.

22 JUDGE THOMPSON: Take whatever time you need.

23 MR. GRYZMALA: Just a couple points regarding
24 the item of Point 3. The -- as I mentioned yesterday, the
25 arbitrator ruled that AT&T's language establishing that a

1 point of interconnection could be placed at a condominium
2 arrangement, CLEC pop hotel, and the like, at Section 1.2
3 should be rejected because those points are not within SBC's
4 network.

5 I don't want to go over those points again,
6 but the language also tied in a point of interconnection
7 being permissible at points, quote, between central office
8 buildings utilizing intrabuilding cable, bearing in mind they
9 had equated central office buildings in a parenthetical in
10 that same paragraph with pops and condominium arrangements.
11 So the first point I would make of three, your Honors, is
12 that for an additional reason, for an additional set of
13 reasons, for Section 1.2 should be rejected.

14 The language is internally inconsistent,
15 firstly. There cannot be an intrabuilding cable between two
16 buildings, so we don't know which they mean to mean or refer
17 to. It's either an interbuilding cable, if there's two -- if
18 there are two buildings involved. It's an intrabuilding
19 cable if there is one building involved. It's confusing,
20 it's vague, it's internally consistent (sic). And for the
21 other reasons I mentioned yesterday as well, Section 1.2
22 should be rejected.

23 I would also point the Commission's attention
24 to the portion of the language which follows Section 1.2,
25 which allows AT&T to use coax cable to connect itself to our

1 network via the shortest practical route. Mr. Hamiter --
2 excuse me, our comments to the submission -- to the
3 Commission, at Pages 188 through 192, outline the various
4 safety factors that are implicit in using the shortest
5 practical route for cable when there are four loading
6 constraints, riser cable constraints, load bearing capacity.

7 I don't want to dwell on them in particular,
8 but I would simply highlight that this is another reason to
9 reject AT&T's Section 1.2. The only company, I would remind
10 your Honors, that have asked for this kind of language among
11 all of the CLECs in this case.

12 Point 4 has to do, as indicated by the issues
13 list, which we distributed yesterday, to do with did the
14 arbitrator err in determining that CLECs could obtain
15 entrance facilities as interconnection facilities at TELRIC
16 rates. Here, again, the arbitrator ruled that entrance
17 facilities are a part of SBC's network and that they are
18 obtainable at TELRIC rates. The arbitrator ruled so at Page
19 16 of Section 5 of the report.

20 We pointed out yesterday at some length that
21 entrance facilities are not interconnection facilities. They
22 are not within SBC's network for purposes of interconnection,
23 and are thus not subject to unbundling. This is discussed --
24 again, our comments on this particular point are at Pages 199
25 to 201.

1 That being the case, the Commission should
2 reject MCI's and the CLEC Coalition's proposed language that
3 would apply TELRIC's pricing for the reasons mentioned
4 yesterday, and for the additional reasons I supplied here,
5 the arbitrator's ruling should be reversed as to the point --
6 as to this item.

7 The matter of one-way versus two-way trunking
8 appears as Item 6. The arbitrator ruled that CLEC -- or that
9 SBC could not require a CLEC to migrate from one-way to
10 two-way trunking unless they consented to do so. The
11 arbitrator so ruled at Page 24 of Section 5. We would
12 respectfully submit that the Commission should reverse this
13 decision. We would refer the Commission to our extensive
14 comments regarding the network integrity and reliability
15 issues, pointed out at Pages 205 and 212 -- excuse me, 205
16 through 212 of our comments, explaining that this proposal is
17 designed to make the most efficient use of our network
18 resources to forestall the need to replace or add to existing
19 trunk capacity.

20 We're simply asking that the current one-way
21 trunks should be migrated to two-way architecture under a
22 transition plan that would not respect undue hardship to the
23 CLECs, who on the other hand, would not only like to retain
24 that architecture but to grow it, to continue it, and to
25 exert additional pressure on our finite but valuable

1 resources.

2 The Texas Commission likewise decided to
3 implement two-way trunking, and found specifically that using
4 two-way trunk groups reduces the total number of trunks
5 required to carry a particular load, and that two-way trunk
6 groups provide the maximum flexibility to carry calls placed
7 in either direction. That's the 2AA 21 [ph. Sp.] docket,
8 your Honors, February 23rd, Pages 21 and 22.

9 With respect to Item 7, SBC's proposed local
10 interconnection trunk proposal, we submit that the language
11 proposed by SBC should be approved. The arbitrator ruled in
12 this regard that SBC Missouri could not require two-way trunk
13 groups against the wishes of the CLECs. Arbitrator report,
14 Section 5, Page 26. As SBC Missouri explained in its
15 comments, which appear at Pages 214 to 218, the proposal
16 allows for the most efficient use of our network resources by
17 limiting, or at least trying to slow down, the rate of tandem
18 exhaust.

19 Trunking to local calling areas where CLECs
20 serve end users works with and is compatible with a single
21 point of interconnection architecture, as our comments
22 explained. In contrast to those CLECs who would argue that
23 adding additional trunks would somehow impinge upon or hamper
24 the ability to deploy a POI on the network.

25 The cost of the facilities on SBC's side of

1 the POI, the point of interconnection where the two networks
2 meet, would be SBC's. That was explained in our comments in
3 testimony. We would urge the Commission to carefully
4 consider the network resource and tandem exhaust concerns
5 presented by SMC's witness, Jim Hamiter, particularly at
6 Pages 50 to 58 of his direct testimony, and Pages 24 to 28 of
7 his rebuttal testimony.

8 I will suggest to you, although I'm not
9 specifically aware of all of the details, there are portions
10 of his testimony that talk to the actual jeopardy situation
11 of one of the tandem exhausts -- or the tandems in this
12 state, the McGee tandem. That is discussed in his testimony.
13 It's a real world example of why our proposal should be
14 accepted.

15 My last point, your Honors, and Mr. -- and
16 Madam Commissioner, has to do with as sort of a defensive
17 point. This is not a point that we've advanced. It's a
18 point Sprint has advanced, and in accordance with the rules
19 of the proceeding here, I want to just pick that up briefly.
20 I believe this would have to do -- and by the way, I have
21 only one of those items.

22 This has to do with Sprint's point made in its
23 comments filed with the Commission that the arbitrator erred
24 when -- in ruling against arbitrator -- against Sprint on the
25 allocation of costs for interconnection facilities. The

1 argument being that the arbitrator's ruling was inconsistent.

2 Now, to put this in context, what the
3 arbitrator ruled and correctly so, is that when a POI, a
4 point of interconnection, is established, each party is
5 financially responsible for their network facilities on their
6 side of the POI. Sprint's point, is though that, well, at
7 Page 4, it seems that Sprint would be forced to absorb 100
8 percent of the cost of the transport facilities that
9 physically joints Sprint's network with SBC's network since
10 this interconnection facility resides on Sprint's side of the
11 POI.

12 Well, I think they've got it right, but for
13 the wrong reason. They are responsible for their entrance
14 facilities, for their facilities on their side of the point
15 of interconnection. Those are not interconnection
16 facilities, as far as we explained yesterday.
17 Interconnection facilities under 251(c)(2) are not entrance
18 facilities that were no longer required -- that are no longer
19 required to be offered as a UNE. So it is true, Sprint
20 should absorb 100 percent of the cost of the facility that
21 brings its network to SBC's network.

22 Since this is an interconnection facility?
23 No. The rest of the sentence should read since this entrance
24 facility resides on Sprint's side of the POI. That should
25 cure the confusion that Sprint apparently finds.

1 Now, Sprint goes onto point out a couple of
2 FCC rules, specifically 51.709(b), which says that the rate
3 of a carrier providing transmission facilities dedicated to
4 the transmission of traffic between two carriers' networks
5 shall recover only the costs of the proportion of the trunk
6 capacity used by an interconnecting carrier to send traffic
7 that will terminate on the providing carrier's network.

8 That rule, from all appearances that I have
9 been able to glean, was adopted at least as many as eight to
10 nine years ago, perhaps in connection with the First Report
11 and Order. It certainly was implemented by the FCC issued by
12 the FCC before the TRO, clearly before the TRO and TRRO. It
13 refers, as you may recall, as I noted here, to transmission
14 facilities dedicated to the transmission. That would be a
15 direct illusion to the previous bundling requirements which
16 basically place dedicated transport outside of the network as
17 the FCC declared it now.

18 As I pointed out yesterday, SBC's network for
19 purposes of the applicable rules is within its network at or
20 between its switches, under the FCC's definition of Paragraph
21 366. The point is, is that this FCC rule obviously predates
22 TRO and TRRO. The TRRO governs the analysis as opposed to
23 this rule, which was implemented many years earlier.

24 And it's clear that the Maryland case to which
25 Sprint points the Commission to gets the same attention. It

1 relied on pre-TRRO law. It took into account nothing having
2 to do with the FCC's activities in 2003 and 2005, February
3 2005 of the TRRO.

4 I would urge the Commission to take a look at
5 the -- for the interest of time, I would urge the Commission
6 simply to take a look at that case, 2004, Maryland PSC LEXUS
7 13, Order No. 79250, Case No. 8882, July 7, 2004. It is
8 absolutely apparent, with connection of Issue 7, that they
9 are referring to rules of a different era, local -- the First
10 Order and Report rules or thereabouts of many years ago that
11 did not take into account the TRO.

12 The bottom line for Sprint's proposal is that
13 its cost sharing proposal is misplaced. The judge was right
14 when he concluded that each party is financially responsible
15 for facilities on its side of the POI, and that's the end of
16 it. Unless you have any questions, I think I'm complete at
17 this point. And Mr. Bub will take over.

18 JUDGE THOMPSON: Thank you, Mr. Gryzmala.

19 MR. GRYZMALA: Thank you.

20 JUDGE THOMPSON: Mr. Bub.

21 MR. BUB: Thank you, your Honor. Good
22 morning. The issue I have in this network area concerns SS7,
23 and on the agenda that was handed out yesterday, it was
24 Item 5, and specifically, it's MCI SS7 Issue 1, and what this
25 issue concerns is whether or not it's appropriate to have

1 SS7's services in a 251-252 agreement. This is one of the
2 271 elements that Mr. Lane referred to in his comments
3 yesterday.

4 I think we can probably handle this on a very
5 shorthand basis by referring to our comments and to the
6 comments he had yesterday on 271 elements, so I don't think,
7 unless you have any specific questions with regard to SS7,
8 SS7 is simply one of those 271 elements that does not need to
9 be placed and shouldn't be placed in a 251-252 agreement.

10 If you don't have any questions, I do have one
11 issue that I want to respond to, and this was an issue that
12 was raised by AT&T.

13 COMMISSIONER MURRAY: Mr. Bub.

14 MR. BUB: Yes.

15 COMMISSIONER MURRAY: Excuse me. Before you
16 go on, I do have a question. Can you cite to a specific --
17 to specific language where the FCC indicated that for the
18 Act, indicates 271 is under the jurisdiction of the FCC
19 rather than the state's?

20 MR. BUB: Your Honor, the FCC has delisted SS7
21 services in the TRO, and the import of that is on or after
22 March 11 of 2006, that there's no requirement to provide that
23 as an unbundled network element and a TELRIC pricing. That's
24 not to say we won't provide SS7. We'll do it under tariff,
25 but that's separate from this agreement.

1 COMMISSIONER MURRAY: What I'm looking for is
2 the language where you filed the 271 -- those things provided
3 under 271, and the enforcement of that.

4 MR. LANE: If I may, your Honor, I was
5 addressing this issue yesterday. The 271 and the Act itself,
6 the only role that it's given to the states is in
7 271(d)(2)(b), where the FCC is the one that decides whether
8 the box, the former Bell operating companies, are allowed
9 into long distance service. And it gives it to the
10 Commission to decide that, and gives the state's only role in
11 the consultation.

12 And then with regard to enforcement of the --
13 of the 271 provisions, if you would look in 271(d)(6),
14 enforcement of conditions, it gives that authority strictly
15 to the FCC itself. And the FCC in its TRO, at Paragraph 664,
16 makes that clear as well. It provides in the first sentence,
17 quote, whether a particular checklist rate satisfies the just
18 and reasonable pricing standard of Section 201 and 202, it's
19 a fact-specific inquiry that the Commission, meaning the FCC,
20 will under take in the context of the box application for
21 Section 271 authority or in an enforcement proceeding brought
22 pursuant to Section 271(d)(6).

23 COMMISSIONER MURRAY: And that was a TRO or
24 the TRRO?

25 MR. LANE: TRO, Paragraph 664.

1 COMMISSIONER MURRAY: Thank you.

2 MR. LANE: And some of the surrounding
3 paragraphs make the same point.

4 COMMISSIONER MURRAY: Thank you. And I
5 realize you-all had brought those out yesterday. I think
6 it's important that they be cited specifically where this
7 issue comes up.

8 MR. BUB: Turning to the responsive issue that
9 we have, AT&T has challenged arbitrator's decision with
10 respect to issue NIA 15, and there they claim that the
11 arbitrator erred in using the Commission's enhanced record
12 exchange rule to prohibit a technically feasible form of
13 interconnection that they say is permitted.

14 COMMISSIONER MURRAY: I'm sorry, which party?

15 MR. BUB: AT&T.

16 COMMISSIONER MURRAY: Thank you.

17 MR. BUB: And the issue, maybe this will help
18 state the issue, is the question is may AT&T combine
19 originating 251(b)(5) traffic in intraLATA exchange access
20 traffic with interLATA exchange traffic on a feature group D
21 access trunk. Essentially what they want to do is put local
22 traffic on an access trunk, and this -- specifically they're
23 referring to a service that they call AT&T digital linkguard
24 ADL.

25 With respect to their claim about the

1 inconsistencies with the Commission rule, I think we would
2 agree that a state Commission rule cannot be enforced if it
3 conflicts with the Act. But here, there isn't a conflict.
4 AT&T's claiming that it's being denied interconnection.
5 That's not the case. It's just being required to establish a
6 separate trunk for IXC traffic separate from their local-type
7 traffic on this ADS service, which is, I think, a Plexar or
8 Centrex-based service that they have. And we think the
9 requirement to have that on a separate trunk is valid and
10 appropriate reason, so that detailed and accurate billing
11 records could be created for the IXC traffic when it enters
12 the LEC-to-LEC network.

13 We do agree with them, also, that the Missouri
14 Commission rule preserves what they say is the record
15 creation, record exchange, and billing processes currently in
16 place for traffic carried by IXCs using feature groups A, B,
17 or D protocols. But here, there's no evidence that this AT&T
18 ADS service or the traffic originates using feature group D
19 protocols. It's, like, a one plus dialed call, and that's
20 specifically referenced in the Commission's rule.

21 The only evidence that's been provided that
22 such traffic is routed over these feature group D, as in
23 David, access trunks. And that's not what the Missouri
24 Commission rule contemplated, so we believe that the
25 Commissioner -- the arbitrator correctly decided that

1 separate trunk groups here are necessary, so appropriate call
2 detail records could be created.

3 And if you have any questions about that, I
4 can certainly attempt to answer them.

5 JUDGE THOMPSON: Hearing no more questions --

6 COMMISSIONER MURRAY: I have one.

7 JUDGE THOMPSON: Please, Commissioner Murray.

8 COMMISSIONER MURRAY: Which issue are you
9 talking about? I'm sorry, I missed that when -- I don't have
10 Livenote anymore, so I can't go back and look.

11 MR. BUB: It's AT&T NIA 10 (sic) -- or maybe
12 they just call it Interconnection 10.

13 COMMISSIONER MURRAY: Thank you.

14 MR. BUB: You're welcome. Thank you.

15 JUDGE THOMPSON: Thank you, Mr. Bub.

16 Mr. Gryzmala.

17 MR. GRYZMALA: Your Honor, I made a mistake.
18 I want to ask for just a moment more. I did have a part, I
19 recall Charter raised the e911 point yesterday, and I thought
20 of it as e911, and put it in the back of my mind not as
21 network, but if I could cover that for just ever so briefly.

22 JUDGE THOMPSON: Do you want to cover it
23 during the e911?

24 MR. GRYZMALA: It was in the network portion.

25 JUDGE THOMPSON: Well, step up and cover it

1 now, if you'd like.

2 MR. GRYZMALA: This had to do with Mr. --
3 rather, Mr. Savage's point with respect to Charter yesterday
4 challenging the arbitrator's decision that the point of
5 interconnection for -- in the case of 911 services should be
6 at the selective router, SBC. That is at the arbitrator's
7 report Section 5, Page 14.

8 We only wish to emphasize that we believe the
9 arbitrator was correct in this regard. Charter is the only
10 company who challenges the decision made by the arbitrator in
11 this matter. Very briefly, otherwise, Mr. Savage attempted
12 to make the point that PSAPs are SBC's customers somehow, and
13 that has something to do with the outcome here. One of the
14 points that is, I think, telling in response to that, is that
15 unlike the pizza parlor that he refers to in footnote 13, the
16 PCAP is not in the business of delivering pizzas.

17 The critical point for e911 service is that
18 service is there to help the public in critical times. The
19 beneficiary of the service is the end users of the carrier.
20 Charter should be responsible for delivering its facilities
21 to the POI.

22 My last point is that this is not new to the
23 Commission. Separate trunks under interconnection agreements
24 already approved in this state, separate trunks will be
25 utilized for connecting CLEC services to each e911 tandem.

1 That is in both of the Sprint interconnection agreements with
2 FamilyTel and Intermedia, Section 51.1.3 of the FamilyTel ICA
3 of the network appendix, and Section 42.2.3 of the
4 intermediate ICA.

5 That's all I have on Mr. Charter's point -- or
6 Mr. Savage's point. Thank you.

7 JUDGE THOMPSON: Thank you, Mr. Gryzmala.
8 Mr. Magness.

9 MR. MAGNESS: Your Honor, Commissioners, Bill
10 Magness with the CLEC Coalition. On the interconnection
11 issues, there were, I guess, two of the major -- two or three
12 of the major points that Mr. Gryzmala referenced, I wanted to
13 mention.

14 First, on this question of entrance
15 facilities, it was talked about quite a bit yesterday and
16 today. As I noted yesterday, it is unfortunate that that
17 term is not one that's easy to understand in the first place,
18 and then the FCC goes and uses it two different ways.

19 What was heard at hearing from the engineers,
20 the people who know about the network, is essentially when an
21 entrance facilities, when these telecom facilities are used
22 for service to an end user, they're often -- have been in the
23 past -- purchased as a UNE, like a loop would be purchased or
24 transport would be purchased.

25 What the FCC said in the TRRO in February,

1 2005, is no more of that. You can't purchase those as UNEs
2 under Section 251 anymore. Those are declassified or
3 delisted. But then the other purpose for which these same
4 kind of facilities are often used are for the purpose of
5 interconnecting with the incumbent carrier, like SBC, so you
6 can interchange traffic with them. You're not delivering
7 something to a customer in that situation, you're using the
8 facility for a different purpose, which is to interconnect.

9 Now, we heard over and over again that the
10 idea that these entrance facilities can be used for
11 interconnection facilities or for something else is a word
12 game. We heard this from SBC quite a bit yesterday, but
13 there is no denying that, really, what it comes down to is a
14 question of what the FCC intended.

15 And what they told us in Paragraph 140 back in
16 February, 2005, of their TRRO is they say in addition to our
17 finding of nonimpairment with respect to entrance facilities,
18 that means nonimpairment means they can't be UNEs anymore.
19 That does not alter the right of competitive LECs to obtain
20 interconnection facilities pursuant to Section 251(c)(2) for
21 the transmission and routing of telephone exchange and
22 telephone exchange access service. Thus, competitive LECs
23 will have access to these facilities at cost-based rates to
24 the extent that they require them to interconnect with the
25 incumbent LEC's network.

1 Now, the language that the judge approved here
2 would do just that. It would not make them available as
3 unbundled network elements. It would make them available for
4 the purpose of interconnecting with SBC's network. That's a
5 permissible purpose. That's what the FCC said.

6 Now, Mr. Gryzmala yesterday talked to you a
7 lot about Texas and Illinois, and Texas and Illinois have
8 decided the other way, have gone SBC's way, they have not
9 gone the way Judge Thompson went. Well, on Texas, there is a
10 provision quoted from the Texas Order in mid-February in
11 their T2A arbitration that does indeed say, as Mr. Gryzmala
12 put it, you can't change the name of something to make it
13 something else.

14 Subsequently, the Texas Commission came back
15 and recognized the import of Paragraph 140, and that first
16 Texas Order that was referenced was issued February 23rd,
17 just after the TRRO came out. In some of their subsequent
18 reconsiderations, Texas has noted the existence of Paragraph
19 140, in that it does make a difference to what you can use
20 these things for, and they have subsequently come out with
21 language in their track two Order on June 20th, I believe,
22 that all I can tell you is we are all still trying to figure
23 out exactly what the contract language is to be.

24 They did reject CLEC-sponsored language with
25 what to do with entrance facilities, but it's not completely

1 clear exactly what that language is going to look like in
2 Texas. I don't say that to contradict that Texas said what
3 it said, as SBC cites it, but I think there have been some
4 subsequent developments where Texas recognizes that Paragraph
5 140 is important.

6 And as to this Illinois precedent, I'm rather
7 puzzled by it because it is -- it's cited in the context of
8 this issue about what did the FCC mean in the TRRO in
9 Paragraph 140, which is really what's dictating this whole
10 fight right now is this split of UNEs versus interconnection
11 facilities in the TRRO. The reason I say I'm puzzled is the
12 Illinois decision that's cited in SBC's brief, and you've
13 quoted at Page 176 and 177 of their comments, is this was
14 decided and issued September 4th -- September 9th of 2004.

15 Now, I don't know how the Illinois Commission
16 knew on September 9th of 2004 what it was the FCC was going
17 to rule on February 6th of 2005. But I would submit that
18 what the Illinois Commission said about what the FCC had done
19 previously doesn't have a whole lot to do with the real
20 dispute at hand here, which is mainly about the most recent
21 FCC ruling on this issue. So --

22 COMMISSIONER MURRAY: Excuse me.

23 MR. MAGNESS: Yes, ma'am.

24 COMMISSIONER MURRAY: I'd like to ask a
25 question here. If the facilities were delisted for purposes

1 of serving end users, how would your ability to get them at
2 cost-based rates get those same facilities -- how would that
3 affect your ability to serve end users with those at cost
4 based rates?

5 MR. MAGNESS: Well, I think the distinction
6 the FCC seems to be drawing is if you want to buy one of
7 these things that's called an entrance facility, and you're
8 going to use it for the purpose of connecting to the SBC
9 network so that you can exchange traffic --

10 COMMISSIONER MURRAY: Right, but then does
11 that limit you so that you cannot use it to serve end users,
12 which was delisted?

13 MR. MAGNESS: It would not, because the
14 purpose for which you're using that particular piece of the
15 network, that particular facility, you're using that as an
16 interconnection facility.

17 COMMISSINER MURRAY: But you can still go
18 ahead and use it the way that you could before it was
19 delisted?

20 MR. MAGNESS: No, you couldn't.

21 COMMISSIONER MURRAY: You cannot?

22 MR. MAGNESS: Because you still need some
23 other facility that gets you from your switch out to that
24 customer. Now, if you went -- let me give you an example.
25 If you went to SBC, and you said I've looked at what you've

1 got available in your network, and you have what -- and I
2 always use the term entrance facility advisably. I would
3 hope that you would look at the testimony from the engineers
4 about exactly what they say these things are, but just work
5 with me as the lawyer.

6 But if you looked at the network and you said,
7 okay, SBC, I see you have an entrance facility here that
8 could connect me to your network, and all I am going to do
9 with that facility is exchange traffic with you, my
10 originating traffic to you and vice versa, and then I see
11 you've got this other one over here that goes from your
12 switch out to an end user premises, like it could be an IXC
13 POP or some sort of end user -- normal end user, like a
14 business.

15 Well, if you said I want to order both of
16 those from you and pay cost-based rates, our view is, and I
17 think where the arbitrator came out was, SBC can say no, you
18 can't have that as a UNE, you can't have that end that goes
19 out to the customer or the IXC as a UNE, not available.
20 I might sell it to you, but I don't have to sell it to you as
21 a UNE or at cost-based rates.

22 Then you turn to that other segment in the
23 network that's going to be used just for the networks meeting
24 and exchange traffic, and what the FCC is saying in Paragraph
25 140 is as an interconnection facility, the CLEC can still

1 obtain that at cost-based rates. So it really is that there
2 are different piece parts of the network, and they're used
3 for different purposes.

4 COMMISSIONER MURRAY: Okay. And then I have
5 another question. In terms of the argument that entrance
6 facilities are not interconnection facilities, what is --
7 what -- what would be an interconnection facility that is not
8 an entrance facility?

9 MR. MAGNESS: Well, there would be -- there
10 are certainly facilities, like, for example, a CLEC-owned
11 facility, if the CLEC took its own fiberoptic cable and took
12 it up to SBC and met SBC, and they interconnected that way,
13 that would not constitute an entrance facility.

14 And I know -- Kevin, are you going to address
15 any of these? Yeah, Mr. Zarling is going to address some of
16 them as well, maybe he'll speak to some specific facilities
17 as well. But I think there a lot of different ways that the
18 CLEC can interconnect technically with the ILEC. The
19 entrance facility is a particular designation of facility.

20 COMMISSIONER MURRAY: Okay. Thank you.

21 MR. MAGNESS: Sure. And it -- it -- it brings
22 up a point, which I wanted to mention in the context of the
23 one-way and two-way trunk issue, too, is that while many of
24 these issues have been posed to you in the SBC comments as
25 purely legal, I think if you look at the record that was

1 before the Staff and the arbitrator, there was a whole lot of
2 testimony from Mr. Hamiter for SBC, Mr. Land for the CLEC
3 Coalition, from the AT&T, Sprint witnesses concerning what
4 exactly are these things, what is the nature of these things
5 in the network.

6 And it makes a big difference in putting the
7 legal issues in context to understand the economic and
8 technical aspects which were factual issues before the judge.
9 So on that -- that one- and two-way trunk issue, again, this
10 is an issue where we strongly believe that if the Commission
11 examines all the applicable FCC rules, as we believe the
12 judge did, that it is completely permissible under those
13 rules to allow one-way trunks as well as two-way trunks.

14 The great threats that Mr. Gryzmala was citing
15 of increased one-way trunking, I don't really think are borne
16 out by the record. If you look at the testimony of Mr. Land
17 for the CLEC Coalition, and Mr. Faldy [ph. sp.] for Xspedius,
18 you'll see that what the CLECs are advocating is that they be
19 allowed to retain a business option to use one-way trunks.
20 It's not advocacy of shifting the paradon completely and
21 stopping using two-way and just using one-way, that's not at
22 all what's going on here, but there are circumstances in
23 which the one-way trunk is extremely more efficient,
24 depending on a carrier's traffic patterns, and retaining the
25 option to do that was the main point of this.

1 And in fact, on many of these interconnection
2 issues, that did become the main point. There were two
3 different legal ways that one could go, and they become
4 factual economic policy issues. Many of the issues are
5 simply about increasing the cost of interconnection, making
6 it harder, making it more expensive or less efficient. And
7 of course, those are issues where we believe it's important
8 that the more efficient approach be chosen.

9 And while we're on the one and two-way trunk
10 issue as well, I will note that on this and the point of
11 interconnection issue, and several of these other issues,
12 again, if we are to believe in the wisdom of the great state
13 of Kansas and its Commission, as we were told to do
14 yesterday, I would advise the Commission look very thoroughly
15 at their interconnection decisions on these very issues where
16 they came out much the same way as the judge did here.

17 Finally, one issue I just want to note from
18 our comments, and it's one where we just want to flag it and
19 ask the Commission to look at it. It appeared to us that
20 there was one decision missing in the arbitrator's report.
21 That was on CLEC Coalition NIA, that stands for network
22 interconnection architecture, NIA 2.

23 The question posed is, is a metropolitan
24 calling area considered a local calling area, and that was a
25 DPL issue, it just may have been inadvertently overlooked.

1 So we'd ask that -- if we're wrong about that, let us know,
2 but if you did overlook it, just provide a decision, if
3 possible.

4 And finally, I just wanted to address, just in
5 response to Mr. Lane, the Section 271 jurisdictional
6 question. As we noted yesterday, as we were talking about
7 Section 271, the statutory provisions that the CLEC Coalition
8 is relying on for incorporating 271 checklist items in the
9 interconnection agreements are at Section 271(c)(1)(a) and
10 (c)(2), and then into the competitive checklist in (c)(2)(b).

11 And we do not disagree that if a party wants
12 to go in and say SBC shouldn't be in long distance anymore
13 and they ought to get out of there, they need to go to the
14 FCC to do that, and do that under Section 271(d)(6),
15 enforcement complaint. The point we are making, based in the
16 statutory language, is that 271 says the box in long
17 distance, the box has to offer the competitive checklist,
18 keep the local market open, that offering's got to be in a
19 252 interconnection agreement.

20 And a Section 252 interconnection agreement,
21 when it points over to Section 252, it's pointing to this
22 very process, the state Commission, negotiation and
23 arbitration process, and that's why we're asking that this
24 checklist items be in the agreement. We're not asking that
25 you take SBC out of long distance or perform an enforcement

1 action that is more properly the FCC's job. But we are
2 saying that the statute says 252 interconnection agreement is
3 where these checklist commitments live going forward. So I
4 just want to clarify that.

5 Are there any questions? I think I'm all set.
6 No? Thank you.

7 JUDGE THOMPSON: Thank you, Mr. Magness.
8 Mr. Zarling?

9 MR. ZARLING: Good morning, Commissioners.
10 I'm Kevin Zarling, and I represent AT&T and the TCG entities
11 here in Missouri. Hopefully we'll be able to go through
12 briefly a response to five of the seven points that SBC
13 raised in their -- let's say abridged version of issues,
14 because only five of those issues are AT&T issues.

15 SBC raised them, obviously, because the
16 arbitrator agreed with AT&T's position on those, and other
17 CLECs, and I'd like to briefly address those before talking
18 about the two issues that AT&T raised where we feel like
19 there was an error in the Order. One of which we feel it was
20 probably just a typographical error, an oversight.

21 Another one is a very critical issue because
22 unlike even the UNE issues that you're hearing about where by
23 next March there's going to be, perhaps, a great loss of
24 consumer -- competition for consumers in the state, on this
25 other network issue that we raised, the arbitrator's ruling

1 could more or less immediately impact a business service that
2 AT&T currently provides here in Missouri.

3 As to SBC's issues, I'll try to do this
4 quickly, because we've covered a lot of ground, and these
5 issues have been addressed in detail by Mr. Gryzmala, and to
6 some degree overlapped some of the SBC's arguments in general
7 terms and conditions. The first one, did the arbitrator err
8 in concluding that the point of interconnection could occur
9 at points not within SBC Missouri's network.

10 Obviously the dispute there is what is within
11 SBC's network, and this does overlap with the fourth point
12 that Mr. Gryzmala raised, but in discussing it yesterday, I
13 thought Mr. Gryzmala made it a little more confusing than I
14 think it needs to be. By the way, this is AT&T Network
15 Issue No. 2. As far as what's within SBC's network, SBC's
16 primary argument relies on what the FCC did in the TRO in
17 defining SBC's network for the purpose of determining whether
18 you should unbundle dedicated transport.

19 The FCC said for purposes of unbundling
20 dedicated transport, that SBC's network is -- does not
21 include the transport facilities that go from SBC switches to
22 some other carrier's network. When the TRRO came around, the
23 FCC completely reversed its thinking on that, and no longer
24 addressed the issue from the perspective of determining
25 whether dedicated transport should be unbundled from the

1 perspective of whether it's part of SBC's network or not.

2 They instead did an impairment analysis.

3 The legal basis for defining SBC's network
4 that SBC relies on is completely gone now with the TRRO, and
5 so I think the arbitrator's decision is completely correct.
6 SBC would ask you to believe that here's one of their
7 switches, here's one of their facilities that goes to some
8 other point, but not necessarily another SBC switch. This
9 facility that SBC's ratepayers have paid for, it's in their
10 rate base, it's part of the network that SBC maintains, but
11 that is not SBC's network for purposes of interconnection.
12 That's really something that defies common sense.

13 And as I said, the basis for SBC's argument
14 was in the TRO, which the FCC no longer applies. In any
15 event, it only had to do with unbundling. The FCC's decision
16 about TRO, about dedicated transport, was only an unbundling
17 decision, not an interconnection decision.

18 The second point that SBC raised is that the
19 arbitrator erred in failing to specifically adopt a 24 DS1
20 threshold for CLECs establishing an additional POI.
21 Mr. Gryzmala made a great deal yesterday about AT&T's
22 language supposedly not even talking about interconnection on
23 SBC's network. I mean, the language that AT&T proposed is
24 SBC shall permit AT&T to interconnect at any technically
25 feasible point on the SBC Missouri network.

1 I'm not quite sure why that was troubling to
2 SBC. I mean, we did go on to say including outside plant and
3 customer premises facilities. And AT&T's witness, Mr. Shell,
4 explained quite clearly how those particular locations
5 outside plant facilities and customer premises, as defined by
6 AT&T, were points on SBC's network. The arbitrator agreed
7 with us. But ultimately, the arbitrator chose SBC's language
8 for the purposes of determining where the points of
9 interconnection will be.

10 And frankly, we don't have any problem with
11 that because of the arbitrator's ultimate decision that --
12 the one thing we did have a problem with, the threshold at
13 which you would establish an additional POI, the arbitrator
14 rejected. It rejected SBC's proposal that you must establish
15 an additional point of interconnection within a LATA when you
16 have a 24 DS1's volume of traffic going through your initial
17 POI.

18 And what the arbitrator said was, and what we
19 agree with, is CLECs have to establish an additional POI when
20 their initial POI is no longer technically feasible. That is
21 the standard for establishing a POI under the FCC's rules,
22 technical feasibility. You can no longer, you know, keep the
23 POI you have or you cannot obtain the POI you want if it's
24 not technically feasible.

25 And the FCC's rule for technical feasibility

1 imposes a very high bar for the ILEC to reject that requested
2 interconnection, which is technical -- infeasibility requires
3 a clear and convincing -- or requires clear and convincing
4 evidence of a significant and adverse network impact.

5 Now, you can't just say things like, well, we
6 have tandem congestion out there, and satisfy that standard.
7 SBC points to things like network integrity, reliability, and
8 capacity. As abstract concepts, those do not satisfy the
9 rule. The SBC did provide an example of one tandem in
10 Missouri that they allege is experiencing or close to
11 exhaust. They did explain how that exhaust is occurring.

12 They didn't explain where it's due to
13 increased CMRS wireless traffic, increased IXC traffic,
14 increased traffic from ICOs that interconnect to that tandem,
15 but they want to impose a threshold at which CLECs could no
16 longer interconnection through that tandem. And they haven't
17 proven that CLECs are the source of the congestion, the
18 alleged congestion of that tandem.

19 And even if there were a congestion of that
20 tandem, SBC is seeking to impose a uniform statewide at every
21 tandem, at every point of interconnection, threshold for when
22 you can no longer interconnect, and must have an additional
23 POI. That doesn't satisfy the standard of a clear and
24 convincing evidence of a significant adverse network impact
25 to deny a specific requested interconnection.

1 So the arbitrator was right on point here, and
2 we're not going to have any trouble implementing the language
3 that is required. When the arbitrator says we're going to go
4 with SBC's, but as to its last point, the threshold issue,
5 the threshold is gone. No specific threshold is required,
6 but the reasoning in the arbitration award reads very easily
7 the language that says we'll establish an additional POI when
8 the POI that we're at is no longer technically feasible.

9 COMMISSIONER MURRAY: Mr. Zarling, I have a
10 question on that. At what point do you think it would no
11 longer be technically feasible? Is there a bright line?

12 MR. ZARLING: I disagree with Mr. Gryzmala's
13 assertion that there needs to be a bright line. Every point
14 of interconnection can be different, depending on who's
15 sending the traffic in there, what the capacity of the tandem
16 is, how old the tandem is. I mean, there's too many
17 variables.

18 COMMISSIONER MURRAY: So how will you know
19 when you've reached it?

20 MR. ZARLING: Well, SBC will come to us at
21 times and say this particular tandem is congested.

22 COMMISSIONER MURRAY: How will they know that?

23 MR. ZARLING: Well, they claim their standard
24 -- I don't know what their standard is for when it's
25 congested. They haven't put that in the record.

1 COMMISSIONER MURRAY: Will some people be out
2 of service before they know that?

3 MR. ZARLING: That's SBC's standard for when a
4 tandem is getting congested and they have to move traffic
5 off. All they've done is proposed a standard that is
6 applicable to every tandem, even though the tandem itself may
7 not be congested. So what their particular criteria will be
8 in a particular tandem for when that particular tandem is
9 congested, we don't know.

10 And it suggests that AT&T and other CLECs
11 never establish additional POIs. And there's no evidence of
12 that. You know, it's not in the record in this case. AT&T's
13 position, as a general rule, we probably have two POIs and a
14 LATA. We've basically been fighting since 1996 for the right
15 to have a single POI. And we don't have that. Even though
16 -- we've had the right, but inasmuch as starting out in '96,
17 '97, most states didn't give us the single POI per LATA
18 right. As a general rule, we've established multiple POIs in
19 most LATAs today.

20 COMMISSIONER MURRAY: Okay. I'm going to go
21 back for a minute to Issue No. 1, in the definition --
22 because you were moving pretty fast. I would have asked you
23 when you were finished, but you never looked this way.

24 MR. ZARLING: I'm sorry.

25 COMMISSIONER MURRAY: Within the -- where the

1 FCC has said the POI must be within SBC Missouri's network,
2 give me an example of something that -- where someone would
3 set up a -- well, let me just ask the question differently.

4 I guess my question is what is the purpose of
5 the FCC making that statement that it must be within SBC
6 Missouri's network, if anywhere, that SBC serves is within
7 that network? Why would they even need to make that
8 statement?

9 MR. ZARLING: I think to accomplish one of the
10 things that SBC doesn't want to see happen, and we don't
11 disagree is not required of SBC. And that is to require SBC
12 to -- and I don't want to tread on Charter's arguments, but
13 really to extend facilities to interconnect. Now, there's
14 meet point arrangements, and usually those are agreed to, in
15 my experience. But we can't require SBC, for example, to,
16 you know, extend their facilities here and to an area that
17 they don't really have facilities in order to interconnect
18 with us. And that's not what we're asking for.

19 AT&T is not asking for that. We're saying,
20 look, SBC, for example, you've extended a transport
21 facilities out to a carrier hotel somewhere. We can
22 interconnect with your facility at the place where you
23 interconnect with these other carriers to pick up their
24 traffic. I mean, that's why SBC has extended the facility to
25 the carrier hotel, to pick up traffic. So we're saying we

1 can interconnect with you there, but SBC's position is, no,
2 you can only interconnect with us at our switches.

3 COMMISSIONER MURRAY: So you're not -- what
4 you're asking is not that SBC establish new -- anything new?

5 MR. ZARLING: Correct.

6 COMMISSIONER MURRAY: To put in any new
7 facility at all?

8 MR. ZARLING: Correct.

9 COMMISSIONER MURRAY: You're just asking to
10 interconnect where there is the possibility of
11 interconnection?

12 MR. ZARLING: Correct.

13 COMMISSIONER MURRAY: Okay. Thank you.

14 MR. ZARLING: You're welcome. Just to finish
15 on No. 2, that 24 DS1, and kind of to duck-tail, hopefully,
16 to the answers I was giving you, Commissioner Murray. As
17 Charter pointed out, their cross demonstrated there was no
18 engineering basis for SBC 24 DS1 threshold. Certainly you
19 can't have clear and convincing evidence of a significant and
20 adverse network impact if there's no engineering basis behind
21 your number for establishing additional POI. It just --
22 network integrity, reliability, generalize the concerns about
23 tandem suggestion, they just don't satisfy the requirements.
24 The arbitrator's decision was a very sound one to say you get
25 new POIs when you can demonstrate the existing POIs are no

1 longer feasible.

2 Three, did the arbitrator err in approving
3 AT&T's interbuilding cable language. Mr. Gryzmala made some
4 point about AT&T's language appearing to be inconsistent
5 because part of our language includes a reference to some of
6 these buildings, like carrier POPs that are not within the
7 AT&T -- excuse me, the SBC central office.

8 Well, we just found it easier to take what
9 might be called an interbuilding cable arrangement and label
10 it as an intrabuilding cable arrangement along with true
11 interbuilding cable arrangements because they're all going to
12 be treated the same way. I mean, you can have multiple
13 definitions or you can include things that don't appear to
14 belong under a particular heading under that heading, but
15 they do belong if you're just going to treat everything the
16 same. So I think that explains the alleged inconsistency.

17 But the situation here, the primary thing that
18 AT&T is concerned about, we have some arrangements in
19 Missouri where as a result of our legacy status, if you will,
20 back at divestiture, we had properties inside of SBC's
21 central offices, and we've retained those -- those locations
22 as AT&T owned properties. It's not collocation. We own the
23 property within the SBC central office. And we just simply
24 would like to be able to interconnect from there rather than
25 having to have a separate collocation space.

1 SBC has said that's discriminatory of other
2 carriers because you're taking advantage of your legacy
3 situation. The FCC in the Virginia Verizon arbitration
4 rejected that. I just don't see how it's discriminatory of
5 us to take advantage of our legacy situation. It's only a
6 couple central offices.

7 The other thing that SBC really has tried to
8 now focus on is the idea that our language somehow permits us
9 to have a dangerous or technically infeasible form of
10 interconnection. First, I have to say you've got to contrast
11 our language, which SBC says is insufficient to protect
12 against this technically infeasible and dangerous
13 interconnection, because we say that the cabling in this
14 arrangement must occur across the shortest practical route.
15 We think practical is a good limitation.

16 But I must point out, first, in contrast, SBC
17 just proposes no language and opposes this arrangement
18 entirely. So, you know, one party puts language out in
19 arbitration, the other one doesn't like it, you know, they
20 should propose an alternative. But to simply say although
21 this may be technically feasible in some circumstances, for
22 SBC, you know, to just take the position you can't do it at
23 all, I think demonstrates the unreasonableness of SBC's
24 position.

25 But as the arbitrator said in finding for

1 AT&T, if the use of the shortest route for interconnection of
2 coaxial cable is technically infeasible, then SBC may refuse
3 to interconnect in that matter. Violation of reasonable
4 safety standards and impartially and fairly apply may be
5 sufficient to establish their proposed method of
6 interconnection is not technically feasible.

7 We don't disagree, but you've got to have
8 contract language, and our contract language says we will
9 take the shortest practical route. The contract language
10 ties itself over to other contract language that says the
11 interconnection must be technically feasible. I can't think
12 of much more to do to satisfy SBC's concerns.

13 As I said, they just opposed this entirely,
14 and my guess is because they'd rather have us pay a special
15 access connection between our condo, than put in cable on our
16 own or they'd rather us maintain expensive collocation than
17 use our existing property in their buildings. But I think
18 the arbitrator got it right on this one. I think you should
19 sustain.

20 JUDGE THOMPSON: Let me interrupt you, if I
21 could. I do apologize, Mr. Zarling.

22 MR. ZARLING: I know we're getting ready for
23 agenda.

24 JUDGE THOMPSON: Exactly. The Commission has
25 an agenda session that is going to begin at 9:30, and what

1 we're going to do is recess between 9:30 and 10:30, and I do
2 apologize for the inconvenience, but there is, after all, no
3 point making your arguments to an empty bench. This will
4 permit the Commissioners to attend the agenda session, and
5 then when the agenda session is over, they will be back down
6 and we will resume. So you're free to remain in this room or
7 wander about the neighborhood. And we will return with
8 Mr. Zarling at the podium.

9 (A BREAK WAS HELD.)

10 JUDGE THOMPSON: Okay. Mr. Zarling, you may
11 proceed.

12 MR. ZARLING: Thank you, your Honor. Let's
13 see. I believe I left off at -- on SBC's list here -- or
14 compressed list of issues. Their Issue 3, did the arbitrator
15 err in approving AT&T's interbuilding cable language, which
16 is SBC/AT&T Issue 9 in the network interconnection
17 attachment.

18 I guess just to summarize on that one, as far
19 as the arguments that SBC's made that at some inappropriate
20 legacy advantage for AT&T, that was rejected by the FCC that
21 there's some risk to the network or network reliability
22 issue. As I had quoted from the arbitrator's award, I think
23 that that's really not a realistic concern.

24 In the final analysis, whenever a CLEC wants
25 to do something in terms of interconnection, even if the

1 interconnection agreement would seem to authorize it, SBC is
2 a pretty good guardian of their network and they're going to
3 refuse to do something that they feel puts their network at
4 risk. So at least we have language, as AT&T had proposed, to
5 authorize this interbuilding cabling when it's technically
6 feasible, and that's certainly a better outcome than the
7 arbitrator found than SBC's proposal, which is to completely
8 deny this form of interconnection under any circumstances.
9 Clearly that's not reasonable.

10 The fourth issue that SBC raised that is also
11 in dispute with AT&T is did the arbitrator err in determining
12 that CLECs could obtain entrance facilities as
13 interconnection facilities at TELRIC rates. If ever there
14 was an issue in this case that's probably been beaten to
15 death, it's that one, but I'll make a couple of points
16 anyway.

17 You know, a lot of commissions -- well, back
18 up a second. I said yesterday how much I appreciated, and
19 many of the other attorneys did, from all the parties, SBC,
20 the CLECs, the work and the effort that the arbitrator and
21 the Commission staff put into this award in the time they
22 had. From my perspective on the network issues in
23 particular, it was a very sage application of
24 straightforwardness in most cases.

25 As someone who does these arbitrations in many

1 states, has been doing them since 1996, State Commissions
2 sometimes -- some State Commissions tend to ring their hands
3 over what seem like straightforward issues trying to find
4 fairness in places that, you know, the law doesn't seem to
5 really contemplate because they overlook the fact that if you
6 just apply the law as written, the Federal Telecom Act and
7 the FCC rules, the fairness is inherent in that.

8 The FCC has balanced the competing interest,
9 Congress has balanced the competing interest. And what I
10 found in this award on the network issue is a straightforward
11 application of law in almost all respects. We have one
12 network issue that I want to -- that we do take -- one
13 network decision that we do take issue with, but this is,
14 perhaps, one of the best examples of the staff not ringing
15 their hands and trying to find something that isn't there.

16 They looked at Paragraph 140. It's a very
17 straightforward provision in the TRRO that said you still get
18 interconnection facilities. And while SBC would argue that
19 it got to be something different than entrance facilities
20 that the FCC got rid of as UNEs, as a matter of law, they
21 don't have to be because you get interconnection facilities
22 under one part of the Federal Telecom Act, 251(c)(2), you get
23 UNEs under another Federal Telecom Act, 251(c)(3).

24 There's different standards from when you get
25 a UNE, there's different standards from when you get

1 interconnection facility. You can use UNEs for different
2 things than you can use interconnection facilities for.
3 There are distinctions under the law, and so the FCC found it
4 necessary to say when they were talking about getting rid of
5 entrance facilities as UNEs, you still get interconnection
6 facilities, because the law required them to do that, because
7 it's a different standard for interconnection facilities.
8 And they weren't looking at interconnection facilities in the
9 TRO and the TRRO. They're looking at UNEs.

10 Now, as far as playing word games go, you
11 know, it just occurs to me that if the FCC were really
12 talking about a totally different animal than an entrance
13 facility when they were getting rid of them, when they were
14 referring to interconnection facilities, at the same time
15 they're getting rid of entrance facilities. They're
16 referring to something that was really totally different and
17 fundamentally different, they wouldn't have had to mention
18 them.

19 It would be obvious to everybody. When you're
20 getting rid of entrance facilities, we're talking about
21 those, you know, sort of like if you're talking about getting
22 rid of cars, you don't have to mention that you're not
23 getting rid of airplanes. But when you're getting rid of
24 entrance facilities, because they're the same thing as
25 interconnection facilities, when you're using them as

1 interconnection facilities, you've got to mention and make
2 clear, as the FCC did, we're keeping interconnection
3 facilities.

4 So it's perfectly logical for the FCC to have
5 said what they said in Paragraph 140, it's perfectly clear to
6 AT&T and the CLECs what they intended by that, and it's
7 perfectly appropriate the arbitrator and the staff did not
8 ring their hands over trying to find something that's not
9 there, and that this Commission not rethink it as well.

10 The last issue that SBC raised that is a
11 dispute with -- happens to be another dispute with AT&T
12 Is No. 7 on their list. Did the arbitrator err in
13 determining that SBC Missouri may not require CLECs to
14 establish local interconnection trunks to every local calling
15 area in which the CLEC offers service in order to establish a
16 two-way intraLATA toll trunk group to the SBC Missouri access
17 tandem, parentheses, where there is a separate local tandem
18 and access tandem in the same local exchange area, close
19 paren.

20 I don't really want to go into depth in this.
21 From AT&T's perspective, it's a very simple matter of it's
22 really the touchstone issue of many of these interconnection
23 issues. Who really gets to choose interconnection? It's the
24 CLEC. CLEC requests interconnection, the CLEC, under the
25 FCC's rules, gets to choose the point of interconnection, and

1 it gets to choose the manner or method of interconnection,
2 which is really what the last issue addresses.

3 And there's two things I'd like to read to you
4 from the record in this case that addresses this, and from my
5 perspective, demonstrates that the Commission really ruled in
6 AT&T's favor on this back in docket 2001, TO-2001-455, which
7 was the last AT&T/SBC arbitration, which Commissioner Gaw and
8 Commissioner Murray, I know you were here at that time.

9 Two things: One, with regard to a CLEC
10 interconnecting with SBC's network, and should they have to
11 do the kind of things that SBC was asking CLECs to do in this
12 case, and as go to a particular SBC switches to match the way
13 SBC has developed its network. The FCC said in the First
14 Report and Order, back in 1996, and I'll take this out of --
15 a little bit out of context, just to read the most relevant
16 part, but it's cited at Pages 72 and 73 of AT&T's brief.

17 Incumbent LECs are not required, at least to
18 some extent, to adapt their facilities to interconnection or
19 use by other carriers, the purposes of Section 252 --
20 251(c) (2) and 251(c) (3) would often be frustrated. For
21 example, Congress intended to obligate the incumbent to
22 accommodate the new entrance network architecture by
23 requiring the incumbent to provide interconnection for
24 facilities and equipment of the new entrance. Consistent
25 with that intent, the incumbent must accept the novel use of

1 and modification to its network facilities to accommodate
2 interconnection -- interconnector or to provide access to
3 unbundled network element.

4 The basic idea is that when it comes to
5 matters of interconnection, the legacy SBC network doesn't
6 control all aspects of interconnection. And in addressing
7 that sort of general issue, you know, what are the
8 obligations of SBC and what are the rights of the CLECs, and
9 the last SBC/AT&T arbitration, docket TO-2001-455, the
10 Commission said Southwestern Bell is obligated to
11 interconnect with AT&T at any technically feasible point
12 without regard to traffic volume. AT&T is free to design its
13 own network and to capitalize on any competitive advantages
14 conferred by its network architecture in conjunction with
15 Southwestern Bell's interconnection.

16 Without going back into all the context of the
17 issue that was involved there, in general, I think this
18 Commission recognized in the past that SBC cannot dictate all
19 manner of trunking, all manner of facilities, all manner of
20 interconnection to the CLECs when it comes to
21 interconnection. And that's what Issue 7 deal with.

22 The arbitrator looked at the record, made a
23 determination that SBC was trying to impose too much on the
24 CLECs. AT&T witness, Mr. Shell, provided very credible
25 evidence as to why this was overburdensome, inefficient, not

1 the kind of interconnection, not the kind of trunking
2 arrangements that CLECs wanted, that AT&T wanted, and that in
3 fact, it would impose additional costs and unawarded costs,
4 not only on AT&T, but on SBC. I don't think there are any
5 grounds to reverse the arbitrator on this decision.

6 Okay. Those are SBC's points that they felt
7 they needed to emphasize where they wanted to overturn the
8 arbitrator's reward, and I think there's ground for
9 sustaining everything the arbitrator did, and we would
10 encourage you to approve the arbitrator's award on all those
11 issues.

12 COMMISSIONER MURRAY: Mr. Zarling, can I just
13 ask you to explain what SBC claims that the CLEC's proposal
14 there would require double switching of calls? Do you refute
15 that or do you think that's not important?

16 MR. ZARLING: I am -- I am guessing that SBC
17 believes that in some instances, they would have to double
18 tandem switch a call. It would go through a particular
19 tandem, and then in order to route it to the terminating end
20 office rather than being able to direct the call from the
21 tandem in which AT&T interconnects, they would have to route
22 the call -- instead of being able to route it directly to the
23 terminating end office, they would have to route it to
24 another tandem that served that end office.

25 Okay. So SBC's position is -- that's how I

1 understand their double switching argument. From AT&T's
2 perspective, any additional switching that's required, we
3 have to pay for in the form of reciprocal compensation, so if
4 it gets double switched twice, you know, they're going to be
5 compensated for it.

6 As far as whether that's more efficient from a
7 network perspective, there is a balancing from network
8 considerations. We pointed out that our concern is that if
9 you have to put in some of these additional trunk groups that
10 SBC's proposal would require, it's going to require
11 additional transport facilities be put in. So -- which is
12 not efficient. Okay. You could have -- you could be
13 carrying this traffic on existing trunk groups.

14 COMMISSIONER MURRAY: When a tandem exhausts
15 an SBC tandem exhausts, whose expense is that?

16 MR. ZARLING: Well, our position is SBC is
17 compensated for the use of the tandem. If a tandem is
18 getting close to exhaust and SBC has to put in a new tandem
19 switch, there's certainly a lot of initial upfront capital
20 costs, but as far as recovering that over time, they do that
21 through the usage charges that their customers pay, including
22 CLECs.

23 COMMISSIONER MURRAY: And if the CLECs had to
24 put in the local interconnection trunks, and I'm not sure I'm
25 using the right phraseology here, but if the CLECs had to do

1 that, would they not be compensated in the same fashion
2 through reciprocal comp?

3 MR. ZARLING: If you put in interconnection
4 trunks, you do get reciprocal compensation. This is actually
5 more of a Sprint issue in this arbitration, as AT&T and SBC
6 have basically resolved the recovery of costs of
7 interconnection.

8 COMMISSIONER MURRAY: It's difficult to keep
9 all the parties straight and what their issues are, but it
10 does touch on your objections to SBC's Issue No. 7, does it
11 not?

12 MR. ZARLING: An argument can be made that the
13 additional costs will be recovered, but ultimately, from our
14 perspective, it doesn't make sense to just continue putting
15 in facilities that won't be efficiently utilized, even if
16 you're going to be recovering the costs of those, because --
17 well, frankly, you may not actually recover all the costs if
18 there isn't traffic going over all the trunks that go on an
19 initial facility.

20 But even if all the costs can be recovered,
21 then it really does come down to a network efficiency
22 argument. And under the law, as far as the choice of
23 interconnection, it really lies with the CLEC to make the
24 decision about what is most efficient, what is the most
25 efficient form of interconnection between a CLEC and an ILEC.

1 The law really gives that authority to the CLEC unless the
2 ILEC can come back and make arguments of technical
3 infeasibility, not mere convenience or routing conventions.

4 COMMISSIONER MURRAY: Okay. I'm struggling
5 with how you figure out which is most efficient, because it
6 seems that one manner would be most efficient for the CLEC,
7 and the other manner would be the most efficient for the
8 ILEC.

9 MR. ZARLING: And in that scenario, I hate to
10 use the phrase, used the tie goes to the CLEC. If there
11 really there isn't, you know, overwhelming evidence that the
12 efficiencies that the ILEC claims, I suppose, rise to the
13 level of saying that the request of interconnection is really
14 technically infeasible, because it's going to cause all sorts
15 of network harm, then as a matter of just simple efficiency,
16 if it's more efficient for the CLEC, then the CLEC's choice
17 of interconnection prevails.

18 COMMISSIONER MURRAY: And your source of
19 authority for the fact that the CLEC's choice would prevail?

20 MR. ZARLING: It's largely in the First Report
21 and Order. I am sorry, I don't have a cite handy. I'm sure
22 it's in our testimony and in our briefing.

23 COMMISSIONER MURRAY: Okay. All right. Thank
24 you.

25 MR. ZARLING: Any other questions on the SBC

1 issues?

2 Okay. AT&T in its comments on the award
3 raised two issues of concern with arbitrator's decision in
4 the network attachment, Section 5. One we think is really
5 just a product of how rushed this had to be. For Issue 10,
6 the arbitrator adopted SBC's position, not happy about it,
7 but that's -- but we'll live with that one. But in adopting
8 SBC's position, they -- the arbitrator and staff chose only
9 part of SBC's language.

10 They found specifically that Section 6 of
11 SBC's language under Issue 10 should be adopted, but didn't
12 adopt Section 6.1. And those are reciprocal, symmetrical
13 paragraphs. Section 6.0 addresses when AT&T routes its
14 traffic to SBC, Section 6.1 addresses when SBC routes its
15 traffic to AT&T. So from our perspective, if you're going to
16 adopt SBC's position, you should include both those
17 paragraphs. So that's the first point we raise, and we think
18 that should resolve something that could be resolved fairly
19 easily.

20 The other issue was a very important issue,
21 and other than this Issue 10 I've raised, is really the only
22 issue that either Ms. Bourianoff or myself came up to talk to
23 you about. We've certainly tried to defend those portions of
24 the arbitrator's award that we thought -- well, that we
25 liked, and that we thought should be preserved in what we

1 anticipated would be SBC's opposition to that, and we've
2 mostly, back up to this point, been talking to you only about
3 those things. Let's keep the arbitrator's award where it is
4 on those issues.

5 This is really the one big issue where the
6 arbitrator -- arbitrator's decision, we feel, needs to be
7 reversed. Certainly the arbitrator didn't agree with all of
8 AT&T's positions. Michelle Bourianoff, yesterday, spoke to
9 different ways to look at how you can gauge the results of an
10 award. I don't think counting members, there's really any
11 good satisfactory way. There's been cost cases where parties
12 win most of the issues, but if you lose the big ones, you've
13 really lost.

14 So you know, although we did quite well in the
15 network attachment, this is an important issue to us, and
16 it's Issue 15, which is on award Page 21. And I preface my
17 arguments that reminding the Commission that when you talk
18 about the network, or interconnection attachment, you're
19 talking about facilities-based competition.

20 We've heard since 1996 about how bad UNEs are,
21 how UNEs are nothing but sham resale, which the Supreme Court
22 ultimately rejected, but when you talk about this attachment,
23 you're talking about where the rubber meets the road as far
24 as carriers investing in networks, and investing in
25 facilities, and bringing services to their customers with

1 their own facilities and own network.

2 And so it's how the CLECs network interconnect
3 with SBC's and how does a CLEC bring its facilities-based
4 competition, not just to its customers, but -- but obviously
5 how do its customers, then, reach the rest of the world,
6 reach SBC's customers. That's how we have competition.
7 Everyone must be interconnected with everyone else. They
8 must have a Ubiquist form of service.

9 In Issue 15, as Mr. Bub described, because he
10 saw it, I filed comments on this, and obviously would not
11 like to see the arbitrator's award reversed on this one, but
12 Issue 15 is, in essence, putting local traffic on its long
13 distance network. Why do we do that? Because when we
14 started local competition in 1996, AT&T had this massive
15 investment in its long distance network, and it's a network
16 we continue to invest in and upgrade.

17 We want to leverage that existing network,
18 this massive investment of facilities, which the R box
19 constantly said CLECs don't invest in facilities. The way we
20 did that was to use our existing long distance switches,
21 which means we have to use our existing long distance
22 interconnection with SBC.

23 The service that we provide is a business
24 service. It serves medium to not very large enterprise, but
25 really small to medium to not huge customers. Basically you

1 have to be someone big enough to have a PBX. It's not a
2 Centrex or Plexar-type service because the customer must have
3 a PBX. So you can imagine it's not going to be a little,
4 tiny shop, but it's going to be someone like Home Depot, and
5 that's one of our nationwide customers. So it's a multiline
6 PBX business service.

7 It's very popular. I haven't had time to talk
8 to my clients since the award came out, trying to get numbers
9 that would be confidential in any event to tell you how many
10 customers we have, but it's a very popular service. More
11 importantly, it's been in place for over six years.
12 It's -- Mr. Bub's comments made it sound like something we're
13 asking the Commission to let us now do. It's something that
14 has been in place for over six years.

15 And SBC has never raised it before this
16 Commission. It didn't bring it up in our last arbitration
17 2001-455. The service is also available in every
18 Southwestern Bell state, except for Kansas. It's available
19 in California, Connecticut, Verizon, Bell South, and Qwest
20 territories.

21 Now, the report rejects AT&T's proposed
22 language that let us route this local traffic over our long
23 distance network. Just a little aside, the staff might be
24 listening, too. The services originate are on a PBX, like I
25 said, so it does originate as a feature group C type of call,

1 but it gets put on SBC's network, you know, I guess at a
2 feature group D level somehow. It gets terminated--
3 ultimately all calls get terminated on SBC's network somehow
4 in a future group C arrangement, though.

5 So it starts out as feature group C and ends
6 up as feature group C. But when the report rejected our
7 proposed language, and SBC proposed no language, they didn't
8 want our language in there, that's the structure of this
9 thing right now, the award cites to the Commission's recently
10 adopted Chapter 29 rules having to do with enhanced record
11 exchange. And notes that the rule allows a terminating
12 carrier to require that local and IXC long distance -- local
13 traffic versus IXC long distance traffic, that they should be
14 on separate trunks.

15 So the rule does request that. The rule does
16 permit SBC to request that. As someone who really didn't
17 stay involved with the rule when it was published, due to
18 some organizational things going on with AT&T, but as someone
19 who was here when the problems that created the rule or
20 created the need for the rule came up, it was never my belief
21 that -- it's never been my belief, it's still not my belief
22 that the intent of this rule was to ever address this
23 situation, and the ADL type traffic.

24 The problem that -- that arose that caused
25 these rules, in my understanding, that caused these rules to

1 be created was a problem where carriers were putting long
2 distance, or access traffic, on the local network. And the
3 local network that was transiting SBC's switches and going to
4 small LECs, third party ILECs, or ICOs, as they're sometimes
5 referred to.

6 And oftentimes, the CPN, or calling party
7 number, which lets you know whose customer it is, where it's
8 coming from, what kind of traffic it is so you know to bill
9 access for it, that wasn't being transited with these calls.
10 So it was long distance being put on the local network, being
11 sent to third parties, that was really what drove, in my
12 opinion, the creation of these Chapter 29 rules.

13 And part of the reason I believe that is
14 because I worked very hard in the late 90's, getting AT&T to
15 change some of its trunking arrangements in Texas so that for
16 its long distance traffic, it avoided the SBC tandems, that
17 is local originated long distance traffic, like intraLATA
18 tolls, so it avoided the SBC tandems and went instead to our
19 IXC POPs, so it would be routed in a way that would
20 definitely make sure the ICOs got their access.

21 So I don't think the rule was really
22 contemplating this particular situation, even though there
23 may be some language in the rule that seems to speak to, you
24 know, keeping local traffic off of long distance facilities.
25 That's not the problem that I think the rule was trying to

1 address.

2 There's two points that I want to make with
3 regard to that, to the decision and how it applies the rule.
4 First, in the case of the ADL traffic, it clearly passes
5 CPNs. The evidence is clear that AT&T passes calling party
6 number. In cases where calling party number is not passed,
7 we apply -- we do populate in the signaling string that goes
8 to SBC, the automatic number identification of the PBX.

9 Again, it's something that will help identify,
10 that does identify the jurisdiction of the call. So the
11 problem that created the rule, the Chapter 29 rules in
12 particular, unidentified traffic going over the feature group
13 D network, that's not a problem with this. The evidence is
14 very clear, it's unrebutted, that AT&T sends calling party
15 number information to SBC.

16 The second point I'd like to make is that this
17 really is a form of interconnection. It's how we choose to
18 route our local traffic to AT&T. In that regard, it is -- it
19 is a manner or a method of interconnection, which I said
20 before, is left to the CLEC's discretion. SBC hasn't come in
21 in any way alleging that it's technically infeasible for us
22 to route our local traffic here over these kind of feature
23 group D networks.

24 In that regard, we are entitled under the
25 Federal Telecom Act to route our traffic this way. If there

1 were a problem of technical feasibility, then there might be
2 an issue, but SBC has not raised an issue of technical
3 feasibility. They have made suggestions that they can't
4 properly identify the traffic.

5 As I said, we, in response to the concern that
6 the rule is supposed to address, we do send calling party
7 number, and we use the same methodology to develop factor for
8 SBC to identify the local as opposed to the long distance
9 traffic on the network. And the factor's developed in the
10 same way that we would identify the local traffic versus the
11 long distance traffic for purpose of putting it on separate
12 trunks. So there's no technical feasibility issues.

13 There's no issues of properly identifying the
14 traffic for purposes of compensation. All that has been
15 addressed by AT&T, and it's something we've had in place for
16 years with no complaint from SBC to this Commission or any
17 other Commission, other than in an arbitration where they say
18 we want to balkanize all these different types of traffic,
19 put them all on different types of trunks, just so that we
20 can be sure that everything's being paid for properly.

21 COMMISSIONER MURRAY: Mr. Zarling, did AT&T
22 participate in the rulemaking?

23 MR. ZARLING: We did not, because we didn't
24 believe that the rule was intended to stop this -- this
25 process, this service.

1 COMMISSIONER MURRAY: But you've indicated in
2 your remarks today that our new rule does permit SBC to
3 request local trunking be separated from long distance
4 trunking, correct?

5 MR. ZARLING: There is a provision in there
6 that we either overlooked or we just didn't believe was
7 supposed to work in -- apply in this scenario.

8 COMMISSIONER MURRAY: So are you asking us to
9 ignore our rule?

10 MR. ZARLING: Not exactly. Our position is
11 your rule conflicts with the Federal Telecom Act. In this
12 particular scenario, the particular portion of the rule that
13 apparently the arbitration award relies on, and I can't be
14 certain, because the award refers to basically the whole
15 series of Chapter 29 rules.

16 COMMISSIONER MURRAY: Are you challenging the
17 rule?

18 MR. ZARLING: I suppose I am. I think that it
19 is inconsistent -- whatever portion of the rule the
20 arbitration award would rely on to support the decision that
21 we cannot interconnect and pass traffic in this way, I
22 believe is inconsistent with the Federal Telecom Act and
23 cannot be applied in this instance.

24 I'm not saying that it can't be applied in
25 other scenarios. I have to deal with this very strict set of

1 facts. I will say, of course, that the Commission has
2 authority under its rules, under this specific rule and
3 Chapter 2 rule to grant variances to its rules. And in as
4 much as I don't think that this is a scenario that Chapter 29
5 rules were intended to address, and particularly since I
6 think it's inconsistent with the Federal Telecom Act, I think
7 the Commission, if it feels like it would rather -- rather
8 than make that finding that the rule is inconsistent, I think
9 it should grant a variance without requiring AT&T necessarily
10 to go through separate procedural steps to request a
11 variance.

12 If that would be the Commission's preference,
13 then perhaps that's what we could see in an Order, but I'd
14 certainly like to see something clear from the Commission
15 that they agree that this is not something that should be
16 shut down in Missouri. I don't relish my clients having to
17 talk to our customers having to explain that after they've
18 had a service for six or seven years, basically the service
19 can't continue to be provided because if we have to pay
20 access or if we have to put in additional facilities that
21 basically undermine the premise of this service, which is
22 it's built on the efficiencies of our existing long distance
23 network, then I don't frankly see how we're going to be able
24 to keep providing the service.

25 COMMISSIONER MURRAY: Okay.

1 MR. ZARLING: So whether you grant a variance,
2 whether you find that the arbitrator should be reversed
3 because on this point, Chapter 29 rules can't be applied, I
4 respectfully urge you to overrule the arbitrator on this one
5 issue and continue in place service that has been reflected
6 in the AT&T agreement since we've had an agreement here in
7 Missouri, and that it's offered in many, many other states,
8 and not deprive Missouri customers, particularly those who
9 are national entities and they're accustomed to getting this
10 service around the country, the ability to continue receiving
11 AT&T's digital link or ADL service in Missouri.

12 And if you have no questions -- any questions
13 on that, if you don't have any questions on that, I'm done on
14 this issue.

15 JUDGE THOMPSON: Very well. Thank you,
16 Mr. Zarling. Mr. Leopold.

17 MR. LEOPOLD: Thank you. I'm Brett Leopold,
18 and I'm representing Sprint Communications Company, LP. I'm
19 going to talk to you about a couple of issues raised in the
20 Sprint comments and also raised by Mr. Gryzmala. Those two
21 issues in the interconnection appendices in the NIM appendix
22 and in the ITR appendix are the access of Sprint to
23 interconnection facilities, sometimes referred to in this
24 arbitration as entrance facilities at TELRIC rates.

25 And I'm also going to address Sprint's request

1 for language that would call for the cost of that
2 interconnection facility to be shared between SBC and Sprint
3 in a particular context, which I will define in the course of
4 this argument. And frankly, I think that the relatively
5 narrow use of this interconnection facility and the types of
6 traffic that pass over it are key to understanding these
7 issues, and I think we'll provide a good background for the
8 Commission to reach its ultimate -- its ultimate ruling here.

9 I also might add that these will be my final
10 comments. And at the conclusion, I'd ask to be excused, but
11 if the Commission has questions for me on any issues, they
12 can certainly ask them, and otherwise, I'll rely upon our
13 previously submitted written briefs, testimony, and comments.

14 JUDGE THOMPSON: You may certainly be excused
15 when you finish your comments.

16 MR. LEOPOLD: Thank you. The SBC argument on
17 the access to entrance facilities or interconnection
18 facilities at TELRIC is -- is quite straightforward and it --
19 it's -- it's designed to overly simplify the issue. And to
20 -- I think, in some ways, mislead the Commission as to what
21 exactly it is that Sprint is asking for in this context.

22 As you've heard many times, I think all the
23 CLECs that have participated in this arbitration acknowledge
24 that entrance facilities are not available as a UNE. We
25 recognize that. And SBC would have you believe that's

1 basically the end of the story because this idea that there's
2 a difference between an interconnection facility and an
3 entrance facility is a fiction and it doesn't exist.

4 And Paragraph 140 of the TRRO, which
5 specifically says even though we're taking away entrance
6 facilities as a UNE, we want to expressly reserve
7 interconnection facilities at cost based rates. They want
8 you to look past that and write off this whole issue as a
9 word game.

10 Let me first raise one point that's covered in
11 our brief, in our testimony, and went unrebutted by SBC in
12 its testimony, unrebutted in its briefs, and was not
13 discussed here today, which is that it's not a word game, and
14 SBC knows it's not a word game, because in fact, they have
15 provisions that are virtually identical to the one proposed
16 by Sprint, and agreements that they have submitted to this
17 Commission and have been approved by this Commission.

18 That would be the Sprint PCS agreements with
19 SBC, the Cingular agreements, their own partially owned
20 entity with SBC, which include interconnection facilities at
21 TELRIC with shared -- with a shared proportionate use of the
22 cost. So it's a bit disingenuous to throw up your hands and
23 say an entrance facility and interconnection facility, you're
24 making it up, when it's in agreements you've submitted to
25 this Commission for approval. So it's not foreign to the

1 law, it's not foreign to this Commission.

2 In fact, it's entirely appropriate, and the
3 Sprint language on these issues should be adopted. For
4 reference, these are chiefly covered in Sprint SBC DPLs
5 submitted in the arbitration associated with appendix ITR
6 Issues 3C, 3D, and Issue 6 and also Sprint SBC DPL's and
7 accompanying language for NIM Issue 5. These are the major
8 provisions that hit these issues of interconnection facility
9 at TELRIC, and the shared cost of facilities.

10 I think some of the -- some of the confusion,
11 which can easily be explained about this distinction between
12 an interconnection facility and a UNE goes to the issue that
13 Mr. Magness discussed a bit, which is what is the purpose of
14 this facility? What traffic is -- is being carried over?
15 The -- the facility we're talking about is typically a big
16 pipe, often with -- between Sprint and SBC -- with very
17 significant capacity, possibly on the OC48 capacity level,
18 and it carries different things.

19 The interconnection facility, which we're
20 talking about, is a local interconnection facility, it's just
21 designed for the exchange of traffic between the SBC and the
22 Sprint networks. Other portions in capacities of this
23 facility are allocated to cover other things. This includes
24 switched access, special access, and UNEs. The Sprint
25 language doesn't impact the charges for those -- that

1 component of the facility between Sprint and SBC, nor does it
2 impact the pricing.

3 With regard to switched access, special
4 access, any UNE arrangement, Sprint will still pay the tariff
5 rate for that facility for purposes of transmitting that
6 traffic. But as is ordered by the TRRO, for the
7 interconnection facility capacity, for the local
8 interconnection traffic, that SBC must get off their network
9 and on to the Sprint network, and that Sprint must get off of
10 its network and on to the SBC network, that's available at
11 TELRIC, and because it's used mutually by both parties to get
12 the traffic where it needs to go, the cost of that facility
13 needs to be shared, and the Sprint language should be ordered
14 to put that in place.

15 Again, we're talking about essentially the
16 connection between the two major traffic aggregating points
17 for SBC and for Sprint. This is going to be a Sprint POP,
18 typically, and SBC tandem switch. And in order to
19 interconnect, in order for the network to work, in order for
20 Sprint and SBC to get the traffic going where it needs to go,
21 you have to have this interconnection facility, and this
22 portion of it for this traffic, is priced at TELRIC, and the
23 cost of that facility for the purposes should be shared.

24 COMMISSIONER MURRAY: Mr. Leopold, may I ask
25 you one quick question?

1 MR. LEOPOLD: Yes.

2 COMMISSIONER MURRAY: You cited the Sprint PCS
3 and SBC interconnection agreement, and the Cingular
4 agreement. Is there any difference for an agreement with a
5 CMRS provider versus a CLEC?

6 MR. LEOPOLD: Not regarding these obligations,
7 there's not, and SBC has cited nothing to that effect.

8 COMMISSIONER MURRAY: Thank you.

9 MR. LEOPOLD: I might add that there are also
10 -- those agreements are attached to the Sprint legal brief.
11 We brought those expressly to your attention. I've since
12 been told that there are CLEC agreements with the Sprint
13 ILEC, which also include this provision, so that's -- again,
14 it's been recognized by this Commission as appropriate and
15 exists in approved agreements today.

16 I actually, hearing Mr. -- Mr. Gryzmala's
17 discussion and description of this interconnection facility
18 yesterday, as a barbell, I took the opportunity to prepare a
19 diagram, I think a fairly basic network diagram, which I
20 think summarizes the fact of the Sprint language and the
21 Sprint positions as laid out in their brief, and I'd like to
22 distribute that and reference it, if I could, in the course
23 of my argument.

24 JUDGE THOMPSON: Absolutely.

25 MR. GRYZMALA: Your Honor, if I may.

1 JUDGE THOMPSON: You may.

2 MR. GRYZMALA: I have no objection to
3 Mr. Leopold's use of this as a pictorial. I would only like
4 to reserve the opportunity --

5 JUDGE THOMPSON: Go ahead and sit down and
6 speak into the microphone.

7 MR. GRYZMALA: I have no objection to
8 Mr. Leopold's using this as a descriptive technique to
9 providing his presentation, only to reserve the right to make
10 a comment on it, if I may, for a moment, after he's completed
11 it, since this is the first time I've seen it.

12 JUDGE THOMPSON: Absolutely.

13 MR. GRYZMALA: Thank you.

14 MR. LEOPOLD: What the diagram is intended to
15 show is on the left-hand side is the SBC network. On the
16 right-hand side is the Sprint network, and in the middle is
17 the much disputed interconnection facility slash entrance
18 facility. As the -- as the diagram indicates, Sprint
19 customer that is on the SBC side of the network and sends
20 traffic to an SBC end office, onto an SBC tandem, that Sprint
21 customer is served using special access, UNEs, or switched
22 access, that goes over the entrance facility and on to the --
23 from the SBC tandem to the Sprint network, and calls in both
24 directions as the tariffs apply are charged to Sprint at the
25 tariff -- at the tariffed and applicable special access or

1 switched access rates.

2 However, if an SBC end user makes a call
3 that's bound from the Sprint network, the square up in the
4 top left-hand corner, that traffic gets routed to the SBC
5 tandem, gets sent over this -- this local interconnection
6 facility, and on to the Sprint network to be delivered to
7 wherever the SBC customer is calling and needs that traffic
8 to go. That traffic is charged at a TELRIC rate, and it's --
9 and that proportionate use of the facility that SBC needs to
10 get its customers' traffic on to the Sprint network is -- is
11 charged at SBC.

12 Likewise, if a Sprint customer is trying to
13 get from the Sprint side of the network and over to the SBC
14 network, again, for purposes of local interconnection and the
15 exchange of traffic, that interconnection facility is charged
16 to Sprint at TELRIC for its use of interconnection facility.
17 Both companies need that facility to get traffic to the other
18 company's network, and when they use it for this specific,
19 local interconnection purpose, TRRO, and the other law cited
20 in the Sprint brief dictates that that cost should be shared
21 and it should be shared at TELRIC.

22 Mr. Gryzmala very briefly dismissed the
23 Maryland Commission's decision of 2004, which adopts this
24 approach in pretty much every respect. His critique of that
25 decision from 2004, as I understand it, is that among other

1 things, that decision in the Sprint brief cite rules that
2 were issued pursuant to the First Report and Order prior to
3 the TRO and the TRRO.

4 In my mind, that's not a very strong argument.
5 We all know that there are plenty of rules and definitions
6 emanating from FCC and court decisions prior to the TRO and
7 TRRO that are still good law. You have to tell us why those
8 definitions and those rules are no longer applicable, and
9 Mr. Gryzmala has not even attempted to do that. Obviously
10 the Maryland Commission in 2004, your colleagues at another
11 state reviewing this issue, found that law was applicable and
12 dictated the decision that they reached there.

13 Further, as has been pointed out, the TRO and
14 the TRRO chiefly deal with UNEs as opposed to many of these
15 interconnection issues, which are addressed in other orders
16 and other proceedings, and this is an interconnection issue.
17 It's an interconnection facility. And just as I urged you
18 yesterday to -- if you have no time to do anything else, look
19 at that North Carolina decision that's attached to our legal
20 brief, I would also urge to you look at the Maryland
21 decision, which was attached to our comments on the
22 arbitrator's report, which will layout, I think, in a very
23 well organized and compelling fashion a rationale for
24 adopting Sprint's position here, and of course it's also
25 argued in the Sprint brief.

1 But again, it's important to emphasize when
2 you look at this facility, what's going over? A UNE, as SBC
3 would tell you, and as we would all agree, is purchased for
4 the purpose of serving an end user. That's not what we are
5 taking about here. We're not talking about a Sprint customer
6 over on the SBC side of the network or Sprint has purchased a
7 UNE loop and UNE transport, and then we're buying a UNE
8 entrance facility and we want that at TELRIC rates.
9 That's not what we're talking about.

10 We're talking about an SBC customer over on
11 the SBC side of the network that needs to send traffic to the
12 Sprint network over a local interconnection facility, and
13 it's that portion of the circuit, that portion of the big
14 pipe at OC48, or whatever capacity it may be that -- that is
15 the subject of these contract provisions. So this isn't a
16 wholesale, rewriting of the compensation regime, doesn't
17 impact every imitative use and every phone call that's made
18 between and connected between the Sprint and SBC networks.
19 It's intended to address a very limited situation that is
20 governed by the law and it does so in an equitable and
21 inappropriate manner.

22 Further, there's language in the arbitrator's
23 report on the interconnection issues that seems to suggest
24 that though he didn't adopt -- order the adoption of the
25 Sprint language in every instance, that his rationale, in

1 fact, seems to acknowledge and does endorse the Sprint
2 position. I quote this in our comments, but the specific
3 sentence in the arbitrator's report on interconnection, at
4 Page 10 says a party that agrees to carry traffic that
5 originated or transited its network to the terminating
6 carriers nearest tandem may require the other party to
7 reciprocate.

8 So what we're talking about here on our
9 diagram is that if Sprint agrees to carry and pay for the
10 delivery of traffic from its network across this
11 interconnection facility, to the SBC tandem, and is
12 responsible for paying for that, Sprint may, according to the
13 arbitrator's ruling, also ask SBC to reciprocate.

14 If an SBC end user needs to get traffic on to
15 the Sprint network and SBC gets that traffic to its tandem,
16 and uses that shared interconnection facility to send SBC
17 customer traffic to the Sprint network, then SBC needs to
18 share its proportionate use of that interconnection facility,
19 and that's -- that's all we are taking about.

20 SBC would have it this way: When Sprint sends
21 traffic across the interconnection facility, on behalf of its
22 customer or somebody on its side of the network, then Sprint
23 pays for its use of the interconnection facility. When SBC
24 sends traffic across that interconnection facility on behalf
25 of its customer or somebody on its side of the network, well

1 gets what, Sprint gets to pay for that use of the
2 interconnection facility as well. Sprint pays both ways.

3 That's not what the law requires. That's not
4 what fairness and, you know, basic equity would require. But
5 more importantly, I mean, the law, in Paragraph 140 of the
6 TRRO, says that cost of that interconnection facility should
7 be shared and it should be shared at TELRIC.

8 COMMISSIONER MURRAY: I'm sorry to interrupt
9 you, but how did the arbitrator decide that issue?

10 MR. LEOPOLD: Well, he -- he adopted -- he
11 appeared to adopt, with respect to ITR Issue 6, the SBC
12 language, on NIM Issue 5, it appeared that he adopted some
13 Sprint language and some SBC language. On ITR Issue 3(c) and
14 3(d), which apply to this issue, we read the -- we read the
15 decision as adopting the Sprint language, so it was somewhat
16 mixed, and we think inappropriately so. We think that the
17 Sprint language should be adopted as proposed with respect to
18 all of those issues as it appears in the decision points list
19 that were submitted to the arbitrator for consideration.

20 COMMISSIONER MURRAY: Thank you.

21 MR. LEOPOLD: All right. I think -- I think
22 that would conclude what I have to say, and on this issue and
23 the remainder of the issues put forward by Sprint, we'll rely
24 upon our briefs and our testimony. Should I collect the
25 diagram, Bob, or do you have comments on the diagram or? I

1 didn't discuss it extensively.

2 MR. GRYZMALA: Only in one respect, if I may.

3 JUDGE THOMPSON: You may.

4 MR. GRYZMALA: Your Honor, and

5 Mr. Commissioners, Madam Commissioner, I had an opportunity
6 to speak to everything except one item that Mr. Leopold
7 brought up, so I will not repeat those arguments. I want to
8 confine my point with regard to the very middle of the
9 picture that shows entrance facility arrows as indicating an
10 area which appears to be identical to the area confined by
11 the arrows marked interconnection facility.

12 I want to remind the Commission that with
13 respect to this aspect of the diagram, that is an entrance
14 facility and nothing more. Paragraph 361 of the TRO made it
15 abundantly clear that traffic carried to the competitor's
16 switch or other equipment, often from an incumbent LEC
17 central office, is along the circuit generally known as an
18 entrance facility. That's what you are looking at. That's
19 all I have. And thank you.

20 JUDGE THOMPSON: Thank you very much,
21 Mr. Gryzmala. Someone was telling us about a dumbbell. Is
22 this that dumbbell?

23 MR. LEOPOLD: I think the dumbbell would be
24 the two circles representing the SBC tandem and the Sprint
25 network with the interconnection facility/entrance facility

1 in between and I just labeled and fleshed out beyond the
2 dumbbell event.

3 JUDGE THOMPSON: I just wanted to make sure I
4 understood this. Were you the one talking about the
5 dumbbell?

6 MR. LEOPOLD: I think Mr. Gryzmala --

7 MR. GRYZMALA: It was a crude attempt, but
8 yes, that was me.

9 JUDGE THOMPSON: Okay. Just want to make
10 sure.

11 MR. LEOPOLD: Okay.

12 JUDGE THOMPSON: Thank you. I believe that
13 takes care of the network issue; is that correct? And our
14 next issue is intercarrier compensation. We've got a half
15 hour before the lunch hour starts. Why don't we go ahead and
16 get started with intercarrier compensation.

17 We were just wondering how much more we have.
18 I notice the parties keep dropping out, but we've still got
19 -- this is only Issue No. 6.

20 MR. MAGNESS: Your Honor, we have one -- I'd
21 say 1.5 issues to address on recip comp. One I just want to
22 reiterate a request for clarification, and then we have issue
23 on 911, and that's all that we intended to speak to and just
24 rely on the comments of the rest.

25 JUDGE THOMPSON: Okay. AT&T?

1 MR. ZARLING: We have no more affirmative
2 issues, and frankly may not say another word, but might it
3 depend on what SBC says.

4 JUDGE THOMPSON: But no more affirmative
5 issues?

6 MR. ZARLING: That's true.

7 JUDGE THOMPSON: Sprint?

8 MR. LEOPOLD: Your Honor, we're done at this
9 point.

10 JUDGE THOMPSON: And you're done at this
11 point.

12 MR. LEOPOLD: So I would ask to be excused.

13 JUDGE THOMPSON: That's right, and you are
14 excused.

15 MR. LEOPOLD: Thank you.

16 JUDGE THOMPSON: SBC.

17 MR. BUB: Your Honor, Mr. Gryzmala and I have
18 the rest of the presentation split up. I have probably --
19 I'm hoping I can cover this intercompany comp portion in the
20 next 20 minutes. The majority will be responding to what
21 Charter said yesterday, so that might be a little bit more
22 expanded than the rest.

23 JUDGE THOMPSON: I understand.

24 MR. BUB: I have one thing I need to say in
25 the 911 area, and perhaps one thing in, I believe, a billing

1 area. The last issue was mine, and I'm content, like the
2 other parties are, to rely on what we filed in paper.

3 JUDGE THOMPSON: Okay.

4 MR. BUB: And then Mr. Gryzmala has, I think,
5 an issue or two as well.

6 JUDGE THOMPSON: Mr. Gryzmala.

7 MR. GRYZMALA: For the score card, your Honor,
8 I think I still am due to the respond to the collocation
9 metering that we heard about yesterday. That's number one.
10 I have one collo CLEC Coalition decommissioning charge. I
11 have one pole conduit right-of-way. That's three in total.
12 I have one PM point, that's No. 4, and one OSS point, No. 5.
13 Rough -- rough cut, a half an hour at most for me.

14 JUDGE THOMPSON: Very good.

15 JUDGE THOMPSON: So let's forge ahead.

16 MR. BUB: Thank you, your Honor. I'd like to
17 turn to an intercompany compensation issue that was raised
18 and discussed yesterday by Charter. And my comments here in
19 the intercompany compensation section are all more in the
20 nature of defensive in that we didn't raise any affirmative
21 issues here. We agree with what the Commission did with
22 respect to the Charter issue, specifically this is Charter
23 Inter-carrier Comp Issue 1. They raised the same issue under
24 GTNC No. 14, and then ITR 8. And all these issues regard the
25 definition of their mandatory local calling scope.

1 COMMISSIONER MURRAY: I'm sorry, Mr. Bub, I
2 wasn't listening carefully enough. Did you just say you
3 agreed?

4 MR. BUB: With what the Commission did in this
5 case.

6 COMMISSIONER MURRAY: Okay. Thank you.

7 MR. BUB: I'm sorry, the arbitrator adopted
8 SBC Missouri's position, and Charter is the one challenging
9 that, so we're on the defensive, so if I wasn't clear, I
10 apologize.

11 COMMISSIONER MURRAY: No, you were, I just
12 wasn't listening. Thank you.

13 MR. BUB: I can tell from the Commissioner's
14 reactions yesterday to Mr. Savage's presentation that there
15 was some unease with Charter's proposal. It's like something
16 just didn't smell right. Well, that's because it's not
17 right. From my perspective, I might have a different analogy
18 than the one that's -- it's Charter and Mr. Savage was asking
19 you yesterday, like Alice in Wonderland to step through the
20 looking glass and look at things backwards in reverse.

21 If you look at any other business, in setting
22 prices, whether that business is a telecom provider or a
23 grocery store, when normal business goes about trying to
24 determine what their retail price is, they look on what their
25 wholesale costs are. What is it from telecom perspective,

1 what are my internal costs, what do I need to pay my other
2 carriers if we're going to send a call to them. Those are my
3 own wholesale costs that I have to pay, that I need to look
4 at and analyze before I go about setting my retail price.

5 You want to make sure that your wholesale
6 costs are covered, usually by marking it up and that's your
7 retail price. Same thing with the grocery store. They look
8 to see what their goods are going to cost from all their
9 different suppliers, whether it's baker or any other company
10 to put their markup on, then they determine their retail
11 price based on wholesale cost.

12 What Charter wants is the reverse. They want
13 to pay their wholesale suppliers based on how it prices its
14 retail services. And that's just not right from a business
15 perspective. Let's take a look at Charter's example that
16 they discussed yesterday. The example I think that
17 Mr. Savage used was their basic service is around \$29 per
18 month, and that gives a local calling plan.

19 Well, with -- if their proposal is adopted,
20 they would want to offer a new flat-rated, expanded calling
21 plan that would give them LATA-wide -- flat-rated, LATAwide
22 calling for \$39. An additional ten. And Charter is claiming
23 that since it's foregoing the extra money from per minute
24 toll charge that it otherwise would have charged its own
25 customers, it therefore shouldn't have to pay access when it

1 uses another carrier's network to complete its own customers'
2 calls and those other carriers exchanges.

3 And they're saying that's because they
4 wouldn't have that extra money with which to pay those access
5 charges. Well, that's not right either. Look at the two
6 plans. You know, aren't they getting an extra \$10 for this
7 new expanded calling plan? Sure. They're going to have some
8 additional internal expenses for the expanded calling plan,
9 but they're also going to have some added expenses from using
10 their other carrier's networks, whether they're terminating a
11 call to us or another telecom carrier, another independent.

12 What this proposal is all about is they're
13 trying to avoid these extra expenses and keep that extra ten
14 bucks. Charter is telling you it's because they need this to
15 compete against SBC, but that's not right either.
16 Commission, I believe, is well aware of numerous long
17 distance companies that offer flat-rated, expanded calling
18 plan. Some of the calling plans LATAwide, some are
19 statewide, others are nationwide, and all long distance
20 companies are all able to pay other carriers access charges.

21 SBC itself had a LATAwide calling plan called
22 local plus. And the Commission there required us to pay
23 access charges to other companies when one of our customers
24 sent a call with the local plus service that terminated in
25 other carrier's exchange. This isn't about competition.

1 It's about avoiding other carrier's access charges.

2 Charter also isn't right on the law. In their
3 challenge to the arbitrator's decision, Charter says that the
4 arbitrator erred because he ignored the statutory
5 definitions, which ss a matter of law required its position
6 to be adopted. Congress never intended what Charter proposes
7 here. Mr. Savage, in charting their comments, pointed to the
8 ISP Remand Order, and there they promulgated a new rule.
9 It's Rule 701.

10 Looking at the ISP Remand Order, that case had
11 nothing to do with voice traffic. That Order was solely
12 designed to address ISP bound traffic that appeared to be
13 local. Charter ignores Section 251(g) of the Act, which
14 preserves or grandfatheres all existing access charge rules,
15 including the receipt of compensation. But grandfathering is
16 to be in place under the Act until the FCC specifically
17 supersedes it by FCC rules.

18 In the ISP Remand Order, the FCC made
19 absolutely clear that it had no intent in changing the access
20 charge rules, and I don't want to belabor this too much, but
21 I think it's worth at least taking a look at a couple of
22 paragraphs, specifically in the ISP Remand Order. It's
23 Paragraph 37, and if you'll indulge me just a little bit, I'd
24 like to read it. It's short.

25 Talking about 251(g) that I referenced

1 earlier. This is a quote in Paragraph 37. This limitation
2 in Section 251(g) makes sense when viewed in the overall
3 context of the statute. All of the services specified in
4 Section 251(g) have one thing in common. They're all access
5 services or services associated with access.

6 Before Congress enacted the '96 Act, LECs
7 provided access services to IXCs and to information service
8 providers in order to connect calls that travel to points,
9 both interstate and intrastate, beyond the local exchange.
10 In turn, both the Commission and the states had in place
11 access regimes applicable to this traffic, which they have
12 continued to modify over time. It makes sense that Congress
13 did not intend to disrupt this preexisting relationship.

14 Accordingly, Congress excluded all such access
15 traffic from the purview of Section 251(b)(5). 251(b)(5), if
16 you'll recall, is the portion that talks about what's recip
17 comp and what's not. I'd also point the Commission to
18 Footnote 65, where they talk about the term exchange service.
19 And there they acknowledge that that term "exchange service"
20 that's referenced in the Act isn't separately defined, and
21 they tell you in this footnote that that is a term that came
22 from the MFJ, which is the Modification of Final Judgment
23 that broke up AT&T operating companies.

24 The term "exchange services" appears to mean
25 in context the provision of service in connection with

1 interexchange communications. It is clear from those two
2 paragraphs that there was no intent from the FCC with its new
3 rule to change how access charges will be handled, both on an
4 interstate or intrastate level.

5 It's further reenforced at Paragraph 40.
6 Because, remember, I told you before this, they were only
7 trying to fix one problem, and that was how that dial-up
8 Internet access compensation perspective. In here, and this
9 is on page -- Paragraph 40, the last sentence of that
10 paragraph says in this instance, for the reasons set forth
11 below, we decline to modify the restraints imposed by 251(g),
12 and instead continue to regulate.

13 So in this Paragraph Order, they say we
14 acknowledge that we have the right, if we want to understand
15 the Act, to change the rules, how things are handled, and
16 we're not going to do that. That's in Paragraph 40.

17 COMMISSIONER GAW: Mr. Bub, are you moving on?

18 MR. BUB: Pardon me? I'm still on this.

19 COMMISSIONER GAW: Okay. Because I may have a
20 question on, this but I will just wait until you're finished
21 with the subject.

22 MR. BUB: Okay. In its written comments,
23 Charter claims that the arbitrator and SBC's position relies
24 on, you know, the old rule, that uses the word local, and
25 claims that that was completely repudiated, and the

1 arbitrator's decision here was incorrect. In legal err. But
2 that's not correct.

3 In our written comments, when we were quoting
4 from the First Report and Order, in that paragraph did have
5 the word local, but that had nothing to do with our intent in
6 the point we were trying to make there. In that First Report
7 and Order, we pointed to a paragraph where the FCC was
8 directing the State's Commission to choose a single area
9 within, which traffic would be exchanged as 251(b) as recip
10 comp traffic.

11 And this directive that we're talking about
12 reflects the importance of establishing a common basis by
13 which to apply compensation. And if you looked to what the
14 FCC did themselves, when they had determined what the area
15 within, which is he reciprocal comp, they chose a single
16 common area. And as you know, that was the MTA. And this is
17 also consistent with the expectation of the DC circuit in the
18 WorldCom case, and that's the case that remanded the ISP
19 Order, the one Mr. Savage talked about yesterday, to the FCC
20 for consideration.

21 And in that case, describing its understanding
22 of 251(b) (5), and I'm quoting from the case, it probably
23 would help to -- this is WorldCom versus FCC, 288 f3rd 429.
24 It's a DC Circuit 2002, and this is on Page 30. It says, due
25 in part in the 1996 Act, local telephone service are now

1 typically perhaps universally served by more than one LEC.
2 The reciprocal compensation requirement of Section 251(b) (5)
3 quoted above is aimed at assuring compensation for the LEC
4 that completes a call within the same area.

5 Now, if you look at Charter's scheme, it's not
6 a single area. What they want is two different areas,
7 depending on which way the traffic goes. If they have their
8 expanded local calling plan, which their customer pays 39
9 bucks for, all their customers calls come into other
10 carriers, that would be subject to recip comp if they had
11 that local calling -- expanded local calling plan.

12 So for example, if one of their customers in
13 St. Louis calls an SBC customer in Cape Girardeau, recip
14 comp, because that's within their local area. Call went the
15 other area, it would be a toll call for our customer, so they
16 would expect to receive access charges. So you would have
17 two different areas, and that's not what the FCC or the Act
18 contemplated.

19 I'd also like to touch briefly on what Charter
20 labeled as red herrings.

21 JUDGE THOMPSON: Pardon me, Mr. Bub.
22 Commissioner Murray has a question.

23 COMMISSIONER MURRAY: I'm sorry, I hate to
24 interrupt, but I thought Charter was saying that they would
25 be -- those calls would be treated under recip comp, and if

1 -- I mean, how can recip comp be only one direction?

2 MR. BUB: That's our concern as well, your
3 Honor. It would be only recip comp in the Charter to SBC
4 direction, because they're saying that for Charter's
5 perspective, they pay that \$39, they're not charging a per
6 minute toll charge, so therefore it's not toll, therefore it
7 can't be access, it's therefore recip comp, and that was the
8 beagle chasing the bunny we had yesterday.

9 COMMISSIONER MURRAY: But if SBC did not have
10 the expanded calling scope, then you would be charging a
11 toll, and therefore it would not be recip comp?

12 MR. BUB: Yes.

13 COMMISSIONER MURRAY: So there is no
14 reciprocity in that situation?

15 MR. BUB: Exactly.

16 COMMISSIONER MURRAY: Okay. Thank you.

17 MR. BUB: Thank you. Yesterday, I think
18 Mr. Savage characterized these two things as something --
19 claiming that the world would end, but in their brief they
20 called it red herrings, and one is what they described as an
21 insurmountable billing problem. I just want you to step back
22 a little bit, and think about what Charter's asking here.

23 It wants SBC's wholesale billing to them for
24 terminating their customers calls to be based on how they
25 treat those calls on the retail side. So, you know, look at

1 their two plans. They have that one basic plan for \$29, it
2 gives their customers local calling; for an additional \$10,
3 they would have the expanded local calling plan. And on a
4 call from Charter customer in St. Louis to SBC, Cape
5 Girardeau, you know, it would be two sets of compensation.

6 One under the basic plan would be a toll call
7 for their customer, so they would pay us access on that, but
8 other set of customers that subscribe to their expanded local
9 calling plan, they'd say that that's recip comp, and with us,
10 we've agreed, so they would pay us nothing.

11 The question is from our perspective, how are
12 we to know when to charge access and when not to? How are we
13 to know when to create a billing record and what type of
14 billing records? It's not just these calls don't just go to
15 us, but to carriers behind us. And then remember that this
16 agreement, this contract doesn't just apply to Charter.

17 Once approved, any other CLEC can adopt it, so
18 this billing problem that they try to trivialize can get
19 multiplied by 40 or more carriers into this agreement. And
20 Charter and all those other carriers, they're all free to
21 change their retail calling plans anytime they'd like. And
22 we're not trying to get -- prevent them from doing it. They
23 can do whatever they want on the retail side, but they just
24 need to follow the rules.

25 Charter here claims that this is just simply a

1 matter of keeping some lists in the billing computer
2 straight, but it's real easy for them to say, they don't have
3 to implement this, and their witness has to knowledge of
4 SBC's billing systems and their capabilities. Here the
5 arbitrator found it just isn't practical, and they're
6 absolutely right, because this is something that can't be
7 done with the billing systems.

8 COMMISSIONER MURRAY: I'm going to interrupt
9 one more time and ask you with this impracticality, would
10 this be a way to shortcut the reciprocal compensation issues
11 and just have everybody eliminate their tolls so they'd all
12 have recip comp?

13 MR. BUB: It's a way to avoid access charges,
14 I think, plain and simple, yes.

15 COMMISSIONER MURRAY: And if other carrier
16 were able to do it and other carriers were able to MFN,
17 wouldn't it be advantageous for every carrier in the state,
18 including the ILECs, to have statewide calling, local
19 calling.

20 MR. BUB: It can have very broad
21 ramifications, yes, your Honor.

22 COMMISSIONER MURRAY: Would that be bad?

23 MR. BUB: It would, because right now, every
24 carrier has tariffs that have been approved by the
25 Commission. They bring in revenue streams, and we, in order

1 to cover our costs, all need to charge different things for
2 -- or different prices for different types of services. And
3 in the small LECs access charges went away, then we would
4 have to, you know, find replacement for that revenue stream.
5 So I think if this were to happen, Charter's scheme were to
6 be approved, you'd see dramatic increases in local -- in
7 basic local rates.

8 COMMISSIONER MURRAY: Thank you. Sorry to
9 interrupt again.

10 MR. BUB: No, that's okay. Shift real quick
11 to the other red herring, and that concerns probably a good
12 follow-up to your question, Commissioner. It concerns our
13 payment to other carriers.

14 Yesterday in their comments, they say that
15 this contract only binds SBC and Charter, and has no effect
16 on the rights of third party carriers to compensation. And
17 in their brief they said, quote, whatever those rights may
18 be. But that's not what their witness testified to.

19 At the hearing, he testified that instead of
20 the access charges that apply today, Charter would expect
21 recip comp to apply. And I specifically direct the
22 Commission's attention to Page 649 of the transcript. And
23 there the question was on a call from a Charter customer in
24 St. Louis to a Steelville telephone customer in Steelville,
25 Missouri, under their plan, they would expect to pay recip

1 comp.

2 And in its written comments, Charter says that
3 issues regarding the appropriate compensation between
4 Charter, SBC, and third party carriers, had to be sorted out
5 in some other proceeding. To me, that sounds a lot like the
6 problem we had with wireless traffic in the state.
7 Commission approved, as you'll recall, interconnection
8 agreements with wireless carriers and on a condition that
9 they made appropriate compensation arrangements with the
10 terminating carriers before they sent the traffic.

11 And without pointing any fingers about who is
12 at fault, the Commission is aware that those arrangements
13 were never made with traffic flowing. And now after about
14 eight years of litigation before this Commission and the
15 courts, that CMRS, the wireless issue, is finally getting
16 sorted out. In conclusion on this issue, I think we don't
17 want to go down that road again.

18 The final point, and I think this refers
19 directly to what Commissioner Murray was talking about, was
20 the replace -- just the elimination of access revenue. I
21 think Congress, in preserving the -- in reserving the right
22 of state Commission's to enforce the access tariff was fully
23 aware of the reasons and the importance of access charges and
24 access tariffs, both at the interstate and intrastate level
25 and didn't intend to disrupt that.

1 So it might be -- I'm finished with my
2 presentation on this particular issue, so if there are
3 specific questions, I could address them now.

4 COMMISSIONER GAW: I think what I had has been
5 discussed, so I'm okay.

6 MR. BUB: Okay. Thank you.

7 Next, I'd like to move on, and this is, I
8 think, an area that's been lumped together, and again, an
9 area where the arbitrator agreed with SBC, and this is the
10 definition of 251(b)(5) traffic, the traffic that's subject
11 to reciprocal compensation. So here, again, I'm responding
12 to some of the arguments that have been made by the CLECs
13 challenging the arbitrator decision.

14 In our view, what the arbitrator did here is
15 fully consistent with the act And the FCC's rules and orders.
16 An it should be affirmed. AT&T, for example, claims that we
17 based our definition of 251(b)(5) traffic on the old rule
18 that used the term "local". Well, that's not correct. I'd
19 like to first go to the statutes just briefly.

20 Let's look just briefly at Section 251(b)(5)
21 of the Act, that's the reciprocal compensation. And there it
22 just simply refers to transport and termination of
23 telecommunications. And then the FCC rules flushed that out.
24 They hold that this section does not apply to all
25 telecommunications traffic.

1 Rule 701, they state that the reciprocal
2 compensation obligation of 251(b)(5) applies to, quote,
3 telecommunications traffic, exchange between a LEC and a
4 telecommunications carrier, except for telecommunications
5 traffic that is interstate for intrastate exchange access,
6 information access, or exchange services. What I discussed
7 previously, for such actions.

8 In the ISP -- 701, the new 701 came out of the
9 ISP Remand Order. That's where the FCC promulgated it. And
10 there, as we discussed earlier, Commission -- the FCC said
11 that Section 251(g) excludes this several numerated
12 categories of traffic from the Universal Telecommunications
13 Traffic in 251(b)(5). And so 251(b)(5) doesn't mandate
14 reciprocal compensation for exchange access, information
15 access, and exchange services for such access.

16 In describing this carve-out, the FCC in that
17 ISP Remand Order said all traffic that travels to points both
18 interstate and intrastate beyond the local exchange isn't
19 subject to recip comp under 251(b)(5). And instead, 251(g),
20 as they indicated, preserves that interstate and intrastate
21 access regime.

22 So in short, 251(b)(5) requires compensation
23 only for traffic between parties located in the same
24 exchange. And SBC's Missouri's definition properly preserves
25 that distinction. And the arbitrator's determination on this

1 should be affirmed.

2 There's a subset of this that -- a subset of
3 the overall argument, I think it was in AT&T's brief, they
4 kind of addressed it altogether, but then they had several
5 subarguments, is probably a better classification, and one of
6 those subarguments, had to do with ISP bound traffic. These
7 are dial-up calls to an Internet service provider, ISP. Here
8 AT&T claims that the arbitrator erred by excluding ISP-bound
9 traffic from 251(b) (5).

10 And they -- AT&T says that we argue that the
11 FCC classified this ISP-bound traffic as an information
12 service, and not subject to 251(b) (5), but to Section 201.
13 And AT&T says that in that WorldCom case I discussed earlier,
14 that remanded -- ISP Remand Order, that it rejected the FCC's
15 information services rationale, so therefore, it has to be
16 251(b) (5) traffic. Well, that's not correct.

17 In their comments, AT&T does acknowledge that
18 the FCC rule and the compensation mechanism weren't vacated,
19 but you need to know that that decision, the ISP remand
20 decision, the Order itself, the result, wasn't vacated and
21 that court was very clear on that. You can see that on Page
22 434 of that Order, where it says we do not vacate the Order.
23 Many of the petitioners, themselves, favor billing key and
24 there is plainly all likelihood that the Commission has
25 authority to elect such a system.

1 Perhaps under 251(b) (5) and 251(d)B(i), but
2 they remanded that decision of how they're going to get to
3 its conclusion to the FCC to explain, but they didn't vacate
4 the ultimate conclusion that that locally-dialed Internet
5 traffic was not subject to 251(b) (5).

6 I'd like to go briefly to --

7 JUDGE THOMPSON: Excuse me, Mr. Bub. I plan
8 to recess for lunch around noon.

9 MR. BUB: That's fine. I apologize I didn't
10 finish.

11 JUDGE THOMPSON: That's quite all right. I
12 just I apologize for interrupting your presentation. Is this
13 a good stopping point?

14 MR. BUB: That's fine, it's a natural breaking
15 point.

16 JUDGE THOMPSON: Very well. We'll come back
17 at 1 o'clock.

18 (A BREAK WAS HELD.)

19 JUDGE THOMPSON: Okay. I have got four
20 minutes after 1:00. Let's go ahead and get started. I'm
21 sure the Commissioners are listening upstairs. Mr. Bub.

22 MR. BUB: Thank you, your Honor.

23 JUDGE THOMPSON: You are back at bat.

24 MR. BUB: I hope to wrap this up quickly, let
25 me just get back to my place.

1 JUDGE THOMPSON: I share your hope, not that I
2 haven't enjoyed it.

3 MR. BUB: Okay. Are we ready?

4 JUDGE THOMPSON: We are ready.

5 MR. BUB: Okay. Your Honor, where we left off
6 is we were talking about ISP-bound traffic, and I had
7 addressed the challenges that were being made by AT&T, and
8 now I'd like to flip to some challenges that were made by the
9 CLEC Coalition, also with respect to ISP-bound traffic, but a
10 little different.

11 Here, the Coalition's taking the position that
12 the ISP traffic -- ISP-bound traffic carve-out -- they're
13 challenging SBC and the arbitrator's decision, is probably a
14 better way to say it, that ISP-bound traffic carve-out
15 includes only traffic bound for ISPs that originates in the
16 same local calling area in which it terminates. They say
17 that the FCC specifically did not limit its definition of
18 ISP-bound traffic in this way, and that such limitations are
19 completely inconsistent with the compensation regime that the
20 FCC promulgated in the ISP Remand Order.

21 I think as we discussed earlier, that ISP
22 Remand Order -- well, one, it didn't say that, and that's not
23 what the ISP Remand Order was about. Remember the ISP Remand
24 Order was focusing on the ISP-bound traffic that appeared to
25 be local, that was locally dialed. It might be helpful to go

1 into a little bit of background of what the problem was at
2 that time.

3 It was a dispute over how reciprocal
4 compensation for ISP-bound traffic was to be handled. The --
5 I guess the premise of reciprocal compensation is two
6 telephone companies exchanging calls with both sending calls
7 to each other, terminating each other's customers' calls and
8 paying each other reciprocally. Well, what had happened was
9 there was various CLECs that took advantage of FCC's
10 reciprocal compensation plan by instead of focusing on just
11 the regular customer base, so there were calls, two-way
12 traffic, they focused on businesses that only received
13 traffic, like ISPs, like the AOL, NetZero, so all their
14 customers wouldn't be making calls to SBC or other incumbent
15 LEC customers.

16 They'd just be receiving the calls into
17 themselves; therefore, they'd also only be receiving
18 reciprocal compensation payments, and that skewed the -- the
19 compensation regime that was anticipated by the FCC, and they
20 really perceived the need to fix it because it got so bad
21 that some of the CLECs were able to enter into deals with
22 ISPs that they wouldn't either charge them nothing to provide
23 them telephone service, or in fact, pay them to be their
24 subscriber, in effect sharing that recip comp with them, so
25 it really caused some economic distortions, and the FCC and

1 ISP Remand Order fixed that.

2 JUDGE THOMPSON: Did you say paying them to be
3 their subscriber?

4 MR. BUB: Uh-huh, yes.

5 JUDGE THOMPSON: I wonder if I can get that
6 plan.

7 MR. BUB: Well, it was very popular. But
8 anyway, the FCC realized that that was an abuse of what they
9 had set out, and the ISP Remand Order, they were addressing
10 that. And that's all that that Order addressed. You know,
11 there wasn't a problem with long distance calls being made to
12 ISPs, you know, there was no recip comp anticipated or paid
13 on that. It was only the locally dialed calls to ISPs.

14 And in our written comments, we had cited, you
15 know, a particular paragraph from the ISP Remand Order just
16 for the proposition of describing, you know, what they were
17 trying to address, and we were criticized by that because we
18 didn't quote the whole paragraph. But if you read the entire
19 decision, it's very evident that that's what that decision
20 was about.

21 You can also see that in the WorldCom decision
22 that remanded that case where, you know, the Court shared
23 that understanding. And this is on Page 430, talking about
24 the FCC's ISP Remand Order. In the Order before us, the
25 Federal Communications Commission held that under Section

1 251(g) of the Act, it was authorized to carve out from
2 Section 251(b) (5) calls made to Internet Service Providers,
3 ISPs, in quote, located within the caller's local calling
4 area. That's what the Order was about, and that's what we
5 were trying to show, and that's why we believe the arbitrator
6 was correct in excluding ISP-bound traffic.

7 Only locally dialed ISP-bound traffic from the
8 definition of 251(b) (5), the calls that were long distance to
9 an ISP calls, you know, dialed on a one plus basis, were
10 never subject to recip comp, access charges paid on those as
11 reflected, I believe, in AT&T's comments. I think if you
12 want to look at Page 26 of AT&T's comments, it acknowledges
13 that it does pay access on long distance traffic to ISPs.

14 Next, I'd like to briefly touch on another
15 subpart to this challenge, and this has to do with the ISP
16 exemption. And here I'd just like to just briefly give a
17 little bit of background with the ISP exemption. The history
18 and application of the ISP -- excuse me, ESP exemption, and
19 that's enhanced service provider, ESP. It makes clear that
20 the exemption was never considered or intended to be a
21 blanket waiver of all access charges in connection with any
22 use of exchange access in which information service provider
23 may engage.

24 The ESP exemption was designed specifically
25 and exclusively to exempt traffic between an information

1 service provider and its own customers. And that was a
2 policy reflecting the fact that when the exemption was, I
3 guess, created in 1983, the FCC at that time was seeking to
4 spare these new enhanced service providers from having to
5 bear significant entry costs and pay access.

6 So instead of having to pay access charges for
7 their customers' calls to these enhanced service providers,
8 they were allowed to pay only business rates for the line.
9 In that, the FCC never suggested that this exemption would
10 extend the traffic, that an information service provider
11 would send to another customer on the PSTN, the public switch
12 telephone network, that wasn't its own. Say, for example, a
13 party called by the ISP's customer.

14 It was with respect to that traffic, the PSTN
15 end user isn't a customer of the ISP, and certainly not
16 receiving an information service. When that call originates
17 or terminates on the PSTN, it looks to the PSTN subscriber,
18 just like any other PSTN-based call. On that leg of the
19 call, the information service provider should have the same
20 obligation to pay access charges as any other user of
21 exchange access services.

22 And finally, I'd like to turn to IP-enabled
23 calls. There, I'd just like to point out that the FCC rules
24 exempting interexchange traffic from reciprocal compensation
25 and applying access charges instead makes no exemption-based

1 on the type of transmission technology used to deliver an
2 interexchange call to the PSTN.

3 In other words, it's technology neutral.
4 Those rules require access charges for interexchange carriers
5 that use local exchange switching facilities. And this rule
6 applies whether the carrier delivering the interexchange
7 traffic to the PSTN uses PRM technology, wireless, IP, or any
8 other transmission technology. I'd like to point the
9 Commission to the IP-enabled services and PRM on Paragraph
10 61.

11 The FCC says as a policy matter, we believe
12 that any service provider that sends traffic to the PSTN
13 should be subject to similar compensation obligations,
14 irrespective of whether the traffic originates on the PSTN,
15 or on an IP network, or on a cable network. We maintain that
16 the cost of the PSTN should be borne equitably among those
17 who use it in similar ways. Well, that policy is applicable
18 here. Interexchange IP PSTN traffic, it may originate on an
19 IP network, but it's sent to and terminated on the PSTN, just
20 like any other interexchange traffic.

21 And unless and until the FCC changes those
22 rules, it should be subject to the same compensation
23 obligations as any other interexchange traffic. I think as
24 we noted in our comments, this is the exact same decision
25 that the Missouri Public Service Commission has taken in its

1 comments to the FCC in that same proceeding. So for all the
2 reasons that I've discussed before and after our lunch break,
3 we believe that the arbitrator's determination in this area
4 was correct, it should be affirmed.

5 And that's -- concludes my presentation.

6 JUDGE THOMPSON: Thank you, Mr. Bub.

7 Questions? I hear none.

8 MR. BUB: Okay. Thank you, your Honor.

9 JUDGE THOMPSON: Mr. Magness.

10 MR. MAGNESS: Thank you. Good afternoon,
11 Commissioners. The CLEC Coalition issue in which we asked
12 for a change is limited to, as Mr. Bub described it, a subset
13 of a lot of these issues he was talking about, and that's
14 this ISP-bound traffic definition.

15 Let me give you a quick overview and tell you
16 why it matters to us. As Mr. Bub described in the ISP Remand
17 Order, which was back in 2001, the FCC was addressing an
18 issue that came to the forefront because of the emergence of
19 ISP traffic, and the impact that it had on reciprocal
20 compensation.

21 What the FCC did was had to deal with is this
22 ISP-bound traffic which goes to the Internet, are we going to
23 treat that like a regular voice phone call, or treat that
24 like something different? Well, of course they had to look
25 at the Telecom Act, and the Telecom Act says, well, what

1 reciprocal compensation is is what one carrier who terminates
2 a call gets paid when it terminates it for another carrier.
3 So when that Southwestern Bell customer picks up the phone,
4 makes a call, and it terminates to a CLEC customer, the CLEC
5 is completing the call for Southwestern Bell, so it gets
6 reciprocal compensation.

7 It's just like access charges, except it's on
8 a different kind of traffic. It's that fee you get for
9 completing the call for somebody else. So the way that the
10 Act is written on reciprocal compensation is extremely broad.
11 It makes it an obligation of ILECs and CLECs and everybody
12 that you provide for other carriers' compensation for the
13 transport and termination of telecommunications.

14 And you say, well, what's telecommunications?
15 The definition of that is extremely broad and includes about
16 everything. So first question the FCC faced back in 1996
17 was, boy, that's a broad definition. That could eliminate
18 access charges. They decided that isn't what Congress meant.
19 They decided that the limit on reciprocal compensation was
20 the reciprocal compensation applied to local traffic, and
21 that interexchange traffic was subject to access charges.

22 So off everyone went and did their business
23 plans and did their interconnection agreements back in 1996,
24 '97, and decided, then, this ISP emerged, as the Internet
25 emerged, and there became concerns that there was too much

1 recip comp flowing to the CLECs who were serving ISPs. The
2 FCC started to look at this, and in the meantime, their
3 ruling on what reciprocal compensation is under the Act had
4 been over turned by the DC circuit.

5 So in the ISP Remand Order, they had their
6 Order back on remand and they had to decide what to do. And
7 they said, well, the way that we dealt with this broad
8 statutory definition in 1996 was to draw the line saying that
9 the circle that is covered by reciprocal compensation is
10 local traffic. They decided in the ISP Remand Order that
11 they were going to rethink that altogether, that they were
12 wrong, they interpreted the statute incorrectly, and that
13 wasn't going to work anymore.

14 And frankly, one of the reasons that appears
15 from the ISP Remand Order, why thought they needed to do that
16 was there was no way to exempt this ISP-bound traffic and put
17 it in a different category unless you reread the statute,
18 which is what they did. They said, okay, it's not that
19 reciprocal compensation applies to local traffic anymore.
20 That was wrong. We admit it.

21 What it applies to is all telecommunications
22 traffic, unless that traffic is exempted under Section 251(g)
23 of the Act, so everybody opened up their Act and looked at
24 Section 251(g), and it excludes certain kinds of traffic,
25 like interexchange, one plus dialed, information services,

1 certain things that over the years, prior to the Telecom Act
2 had been sort of carved out for special treatment from the
3 rest of local traffic.

4 So the FCC said it's a new regime, it's a new
5 day, all those references in our rules to local traffic is
6 the limitation on reciprocal compensation are repealed. And
7 if you look at the ISP Remand Order in Appendix B, where they
8 put out the new rules, they tell you that their old rules are
9 amended by striking, quote, local, end quote, before
10 telecommunications traffic each place such word appears. So
11 now we all had to step back and go, okay, well, what does
12 recip comp apply to?

13 Well, it's all telecommunications traffic
14 unless it's in that section 251(g) bucket. There's a bunch
15 of stuff in that bucket. One plus traffic, and most notably
16 for the ISP purposes, the FCC said information services
17 traffic. And the FCC said since those ISP calls terminate to
18 the Internet, ultimately, that is information services
19 traffic, information services traffic is subject to our FCC
20 jurisdiction exclusively, we set the rules, we set the rates,
21 and that's how it's going to be going forward.

22 And you will see in the ISP Remand Order that
23 that conclusion was probably the strongest, biggest
24 conclusion. I agree with Mr. Bub. They were trying to deal
25 with this ISP issue primarily. But if you look at that Order

1 in Paragraphs 1, 52, 63, 65, 82, 78, if you look at Chairman
2 -- then Chairman Powell's concurring statement, it's
3 perfectly saying they're saying this is under our
4 jurisdiction now.

5 And then they went about setting up a
6 compensation structure for it, said now if you're going to
7 terminate those calls to ISPs, that's fine, but you're going
8 to get a lot less money for it, and it's going to be under
9 our control. And they called it an interim regime, they
10 promised that they would set permanent rates and permanent
11 treatment some day. That was back in April, 2001. We're
12 still living under the interim regime, but the FCC is
13 considering these issues in a rulemaking right now.

14 So where's that leave us? The FCC said that
15 ISP-bound traffic was information services subject to FCC
16 jurisdiction. Now, the fact that a call was an information
17 service call, it doesn't matter where it originates or where
18 it terminates. It's the characteristic of it being
19 ISP-bound. The characteristic of that call, if it's going to
20 the Internet, that seems matter the most to the FCC.

21 They did not incorporate any language in that
22 ISP Remand Order that said it's information services, it's
23 interstate, as long as it's local. I mean, it even kind of
24 sounds funny to say it, that they're going to declare
25 interstate jurisdiction over traffic just as long as it's

1 local. Well, that isn't what they did.

2 And the consequence of this is important in
3 that ISP-bound traffic has got its own compensation scheme,
4 and it's not a rich one. The rates went down dramatically
5 because the FCC was trying to drive down the reciprocal
6 compensation available for it. But there is a rate structure
7 that is applicable to ISP-bound traffic. But it's applicable
8 to all ISP-bound traffic.

9 Now, we will agree with Mr. Bub that the FCC
10 was not talking about one plus dialed traffic, which is
11 clearly a long distance call, but there are -- there are
12 calling arrangements, particularly when people are trying to
13 call an ISP and they live out in a rural area, they use FX
14 arrangements, use various times of arrangements to allow that
15 to be a nontoll call to reach the ISP. And that's a lot of
16 the ways that dial-up, before broadband really hit, before
17 dial-up got into the rural and suburban areas was that kind
18 of arrangement.

19 And we believe the ISP Remand Order supports
20 the notion that is that telecommunications traffic when it's
21 delivered from that rural area? Yes. Is it subject to
22 251(g)? Yes, because it's an ISP call. So is it subject to
23 the FCC's recip comp rules? Yes. There isn't a geographic
24 limit on that.

25 Now, SBC tells you about the geographic limits

1 that are inherent in this Order, and Mr. Bub noted that we
2 had criticized them for partially quoting a paragraph out of
3 the ISP Remand Order. We quoted the whole thing at Page 21
4 in our comments just to show you that the FCC wasn't drawing
5 a geographic limit on this, they were just describing what
6 they had done in the past. And that's exactly what they
7 changed in the ISP Remand Order. So, there's a lot of
8 background.

9 Now, why does it matter? To a large extent,
10 the CLEC Coalition has settled most of our reciprocal
11 compensation issues with SBC. If the judge will remember, we
12 were settling issues even as their witness came up for me to
13 cross-examine him. We were announcing new settlements,
14 because we were trying to work those things through. And in
15 large measure, this ISP-bound traffic is one that we've
16 disputed around this region, and continue to dispute.

17 The reason it's primarily important is that
18 the FCC, as I noted, is considering changes to the whole
19 reciprocal compensation scheme. And we don't know what's
20 going to come next. And unfortunately, some of these issues
21 may come back before you once the FCC issues another Order on
22 this issue. But the key is that the interconnection
23 agreements that we all operate under should accurately
24 reflect what those current FCC orders say. Whether we like
25 them, or whether we don't like them.

1 And I can tell you my clients were crazy about
2 the impact the ISP Remand Orders had, but they are concerned
3 that we not end up with language that is inconsistent with
4 what the FCC did. Because if the FCC then keys off of what
5 it did in the ISP Remand Order and introduces some new
6 concept into this mix, we want to be sure the interconnection
7 agreements that that new concept gets poured into accurately
8 reflect what the FCC's already done. That's why it's an
9 important issue to us going forward.

10 The only other issue that we have on recip
11 comp that we raised affirmatively is a request for
12 clarification on this Internet protocol, or IP, traffic issue
13 that Mr. Bub mentioned. I'm not going -- I could, but I
14 won't, argue with him about some of the things he said on
15 that. The key, though, here, is that there are two sections
16 of the Order where this issue is dealt with. And we just
17 want to be sure that they are treated consistently. We
18 address that issue at Pages 23 and 24 of our comments.

19 We think that if the -- the treatment of an
20 MCI issue and the treatment of the CLEC -- rather, yeah, the
21 CLEC Coalition issue are harmonized, that the Commission ends
22 up with the result that it has advocated, that is if the call
23 is interexchange, whether it originates on the IP network or
24 not, that it's going to be subject to access charges. But if
25 it is not interexchange, and it originates on an IP network,

1 that it will not be subject to access charges.

2 So in any event, it's one where we just hope
3 the Commission can look at that and be sure that we come up
4 with a consistent treatment. Any questions?

5 JUDGE THOMPSON: Thank you, Mr. Magness.

6 MR. MAGNESS: Thank you.

7 JUDGE THOMPSON: Hearing no questions.

8 Mr. Zarling.

9 MR. ZARLING: Commissioners, I'll keep this
10 brief. I just want to point out that we raised what
11 Ms. Bourianoff described as one issue where we disagreed with
12 the arbitrator's report here. It may be considered a series
13 of issues, because in our intercarrier compensation DPL, we
14 had one issue that had about four or five subissues, and
15 basically the arbitrator's report made sort of an overarching
16 decision on kind of maybe the threshold issue and then all
17 the subissues went the same way.

18 And the threshold issue was against AT&T and
19 it had to do with what's the definition of 251(b)(5) traffic,
20 and then sort of under that, what's the definition of
21 ISP-bound traffic, and what's the definition of IP traffic.
22 So at least on the ISP issue, perhaps on the 251(b)(5) issue,
23 in general, like the CLEC Coalition, I think the arbitrator's
24 report got it wrong by focusing on the local definition that
25 the FCC has abandoned.

1 And so with that, I would just point out that
2 we did raise those issues. They begin at Page 20 of our
3 comments. To be fair, I said on network, most issues can be
4 dealt with on a very straightforward reading of the law.
5 This is a scenario where I think it's hard to just do that,
6 but you know, what's good for the goose is good for the
7 gander, and I know we've presented some complex legal issues
8 that say you must really look at what's going on in the ISP
9 Remand Order. So if the Commission's so inclined, I'd ask
10 you to look at those arguments.

11 Just respond to a couple things that Mr. Bub
12 said. I think he took some issue with or proposed definition
13 by saying that we called 251(b) (5) -- wanted to define 251 as
14 all traffic. Well, as Mr. Magness has explained, we think
15 that's where the FCC in its ISP Remand Order came out. It is
16 all traffic, with some exceptions. And our definition takes
17 that approach.

18 It calls 251(b) (5) traffic all
19 telecommunications except for the following: And they're
20 exchange access, information access, and exchange services
21 used to provide such access. So I want to be clear that our
22 definition is not the way Mr. Bub described it. We're not
23 just saying it's all traffic. We include the exceptions in
24 our proposed language.

25 There's also some disagreement, again, I don't

1 want Mr. Bub's argument to leave the wrong impression with
2 the Commission about what the WorldCom decision, this is the
3 DC Circuit's decision on appeal of the ISP Remand Order did.
4 I think it might have been suggested that AT&T's argument is
5 we -- we don't recognize that that decision did not vacate
6 the FCC's Order, the ISP Remand Order.

7 And I'm very mindful of what Commissioner Gaw
8 seemed to be concerned about yesterday and is getting the
9 whole picture, and I believe we did put in our comments at
10 Page 25 a fair representation of what that Order did, which
11 is it didn't vacate the Commission's rules, the ISP rules,
12 and it didn't vacate the compensation scheme that's inherent
13 in those rules. But when the DC Circuit says we disagree
14 with your rationale, FCC, for how you got there, that
15 rationale is invalid, notwithstanding the fact that the
16 Order is still in place.

17 It would be very hard for the FCC, I think, to
18 come back to the DC Circuit and say, well, you know what, we
19 ended up in the same place, and not expect to get reversed
20 again -- or remanded back to them, probably reversed at that
21 point. I think the DC Circuit decided this is one they
22 didn't want to figure out, so they remanded it, and they had
23 to keep something in place.

24 So I think we've been very clear. The ISP
25 Remand Order is still in place. The rules are still in

1 place, the compensation scheme is still in place, but the
2 rationale that -- that ISP-bound traffic is, in fact,
3 information service and not something that's subject to
4 251(b) (5), and so properly included within the definition of
5 251(b) (5), I think the FCC's conclusion there is not in
6 place, cannot be sustained.

7 And that's really the basis of SBC's argument
8 that the FCC took ISP-bound traffic outside of 251(b) (5) and
9 put it over someplace else. They did, but that rationale
10 doesn't stand up anymore. And Mr. Bub also cited to where in
11 the WorldCom decision the Court described the Order below
12 that they were reviewing, and since local traffic, ISP
13 traffic routed to local carriers, I contend that that's
14 dicta, that's got nothing to do with the Order, and that's
15 just excess verbiage from the court.

16 I think that's all the substantive argument.
17 I would just say that what we are taking about here -- well,
18 one other point. Mr. Bub did, himself, refer to what the ISP
19 Remand Order was dealing with was locally dialed traffic. We
20 point out in our comments, I think the other CLECs did it as
21 well in testimony and briefs, that that's really what we're
22 arguing about is traffic that's locally dialed, like this FX
23 or foreign exchange type of arrangement for customers to
24 reach their ISPs.

25 AT&T points out that we pay access on any ISP

1 calls that are dialed one plus and routed over the access
2 network. As a practical matter, we really can't do anything
3 else. It's truly interexchange traffic. But our position is
4 that's not really what the law requires, but we're going to
5 pay access on that.

6 But on locally dialed traffic, like an
7 FX-dialed call, I think this Commission needs to tread very
8 lightly in adopting a decision that might subject that kind
9 of call to access charges. There are still a large number of
10 people, I think, only recently, as far as national numbers
11 indicate, only recently might it be the case that the
12 majority of the people in this country don't access their ISP
13 via dial-up. I think broadband might be the way most people
14 get there. But as in rural areas, it's probably still
15 primarily dial-up.

16 And the Commission, as I said, just needs to
17 tread very lightly on access to the Internet that would
18 diminish that access as a result of imposing access charges.
19 And I touch in my comments on the federal policies in the
20 Federal Telecom Act, or not in the 251 areas that we're used
21 to for interconnection, but the FCC has cited to them in the
22 ISP Remand Order, the access charge orders where they have
23 preserved the access exemptions related to ESPs, which ISPs
24 are a subset, and it's a very, very touchy subject to start
25 applying access charges to things that -- to Internet access

1 that people are used to obtaining by dialing as a local call.

2 Thank you.

3 Oh, and if there's any questions, I'm
4 finished.

5 JUDGE THOMPSON: I see no questions from the
6 bench. Thank you, Mr. Zarling. Mr. Leopold -- Mr. Leopold's
7 gone. Cross one more CLEC off my list. We're down to just
8 two, CLEC Coalition and AT&T. Very well.

9 MR. MAGNESS: There's seven in my group,
10 though, so don't forget.

11 JUDGE THOMPSON: You're a little larger than
12 you appear to.

13 MR. MAGNESS: That's right.

14 JUDGE THOMPSON: That was intercarrier
15 compensation, Issue No. 7 is collocation, physical and
16 virtual. Mr. Gryzmala, step on up.

17 MR. GRYZMALA: I have two collocation issues,
18 your Honor. One is to respond defensively, if you will, to
19 the arguments already made by both MCI and AT&T with regard
20 to collocation power metering. And there is another issue
21 that was raised by the CLEC Coalition having to do with
22 decommissioning charges; that is, when a collocation cage
23 is --

24 JUDGE THOMPSON: I understand.

25 MR. GRYZMALA: Okay.

1 MR. ZARLING: And I was just -- sorry to do
2 this on the record, I was just going to think you could go
3 straight into your poles, conduits, if you're handling that.
4 MR. GRYZMALA: Right after that? That would
5 be fine.
6 JUDGE THOMPSON: You have no more affirmative
7 issues?
8 MR. ZARLING: Actually, I lied. I have one,
9 but it's very short.
10 JUDGE THOMPSON: And it's under what heading?
11 MR. ZARLING: Comprehensive billing.
12 JUDGE THOMPSON: Comprehensive billing. How
13 about you, Mr. Magness, how many more affirmative issues do
14 you have?
15 MR. MAGNESS: One on 911.
16 JUDGE THOMPSON: Really. Okay. And you have?
17 MR. GRYZMALA: One collo -- two collo; one
18 offense, one defense, one pole.
19 JUDGE THOMPSON: Right.
20 MR. GRYZMALA: One PM, one OSS, five total, I
21 believe.
22 JUDGE THOMPSON: Well, you should go ahead and
23 do your affirmative issues, and then they're going to want to
24 respond, and so you said you had one collo. Do you have an
25 affirmative issue under poles?

1 MR. GRYZMALA: Yes, your Honor, I have an
2 affirmative issue under poles.

3 JUDGE THOMPSON: Okay. And again, we'll have
4 responses. Then e911.

5 MR. GRYZMALA: So I do collo and then sit
6 down?

7 JUDGE THOMPSON: Yeah.

8 MR. GRYZMALA: Okay.

9 JUDGE THOMPSON: We'll continue to do it by
10 topic area, or we'll become up here much more confused than
11 we may already be. Okay. So just proceed as we have been.
12 Go ahead, Mr. Gryzmala.

13 MR. GRYZMALA: Thank you, your Honor. This is
14 the sole -- the only collocation power -- or collocation
15 issue which SBC Missouri is bringing to the Commission's
16 attention of all of the collocation issues that were
17 presented. As I said, I am defending on another that I'll
18 handle after this one.

19 This raises the question of -- as to whether
20 the arbitrator erred in deciding the charges for collocation
21 power shall be rated on, quote, rated power draw, end quote,
22 when neither SBC Missouri, nor either CLEC, that being AT&T
23 and MCI, neither of these CLECs language have proposed this
24 method of charging or proposed any language to support it.

25 The arbitrator concluded that charges should

1 be based on the power actually consumed by the CLECs. And
2 then proceeded to apply that to a conclusion that charges
3 should be based on the rate of power draw. I want to keep
4 this as brief as I can, but I do also want to point out some
5 of the salient reasons for which we believe that rated power
6 draw should not be adopted, but that likewise, the language
7 proposed by both CLECs -- AT&T and MCI -- must be rejected.

8 There are quite a few terms here, and very
9 briefly, we'll start with the easiest, and that is to suggest
10 that this Commission would be well aware that for quite some
11 time, several years, there has been a collocation tariff in
12 place. The collocation tariff specifically provides for the
13 methodology by which power charges would be assessed. That
14 would be at the physical collocation, for example, Tariff
15 Section 20.5 wherein the DC power charge consists of the use
16 of the DC power system with AC input and AC backup for
17 redundant DC power expressed on a per amp basis.

18 That's consonant with the traditional way in
19 which power has been ordered and utilized by the CLECs on a
20 consumption; that is, as they order it, the capacity that
21 they need. So that is one -- that is the methodology which
22 has been in place for -- as I mentioned -- several years.
23 The CLECs' language wants to part from that.

24 The CLECs' language would require metering at
25 their option, but there's nothing in their language as to

1 tell how to go about it. So when the issue of how one would
2 go about it arose, there were three methodologies employed.
3 I am not sophisticated on the innards of these methodologies,
4 but suffice it to say that they were comprised of AT&T's
5 proposed split core transducers, the handheld meter, and the
6 returned side shunt metering. There was three of them.

7 Now again, none of these are in their
8 language. MCI proposed that SBC be made to meter, but didn't
9 propose any methodology in their language and didn't propose
10 any in their testimony. So there's no methodology, no
11 architecture, no means to advance by MCI. With regard to the
12 three that were advanced by AT&T, Mr. Poole discussed each of
13 them in great detail and described the reasons for which
14 those methodologies would produce flawed results.

15 I would refer your Honors on this important
16 issue to Poole Direct at 7 and 8, and Poole Rebuttal,
17 particularly Pages 3 and 4, 9 and 10. But there was quite a
18 bit of material that was devoted by him on that score, and I
19 will note that Telcordia, in an independent analysis with
20 regard to one of those three methodologies, concluded that it
21 was inaccurate, that there could be errors in the results of
22 upwards of 30 to 50 percent, if memory holds. That's in the
23 testimony. So that's kind of where we are.

24 There was also testimony, as Ms. Bourianoff
25 referred to yesterday, as to what AT&T's specific proposals

1 were, and that in some means -- or some, way, shape, or form,
2 they were consonant with the arbitrator's ruling.
3 Ms. Bourianoff spoke to -- as I recorded -- two sections;
4 19.2.3.1, which says that the collocator's option power
5 measuring units, PMUs, or meters will be installed on the
6 BDFBs. That's not in our means - or in our frame of thought
7 of rated power draw. The words "rated power draw" aren't
8 used there, "shunt metering" isn't used there, "handheld
9 metering", "split core transducers". It simply says you'll
10 meter if the collocator asks you to do it. That does not
11 support the outcome here.

12 Ms. Bourianoff also referred to 19.2.3.7,
13 which basically -- which says that in the event that the
14 collocator declines to convert to meter power usage, SBC
15 Missouri will assess charges for power on a per ampere, per
16 month basis, using the rated ampere capacity in the
17 collocator, collocated space. I don't see the words "rated
18 power draw" there. There's nothing that we can discern from
19 the testimony as to what rated power draw means. Yet, that
20 is what the arbitrator held.

21 We have looked very closely at Mr. Henson's
22 testimony to which Mr. -- Ms. Bourianoff referred. There are
23 various references to abut new terms, list one drain and list
24 two drain. List one drain apparently it means to refer to,
25 as Mr. Henson points out at Page 27 of his Direct, when he

1 refers to list one drain, he says the manufacturer's
2 specification for the typical usage of the equipment, often
3 referred to as list one drain.

4 There is reference to list two drain. At Page
5 21 of Mr. Henson's testimony, he says the list two drain is
6 the current that the equipment will draw when the power plant
7 is in distress, meaning that the power plant's batteries are
8 nearing the point of complete failure. I don't see list one
9 in AT&T's language, I don't see list two in AT&T's language.
10 We don't see rated power draw in AT&T's language.

11 We have struggled and have found no way by
12 which to identify that the rated power draw means of charging
13 that was ordered by the arbitrator is linked to any of these
14 methodologies. For that reason, and for the reasons that
15 Mr. Poole described, we have to conclude that the rated power
16 draw is not a means or a methodology that was advanced by any
17 of the parties. It cannot be linked to any language, it
18 cannot be linked specifically to any hard evidence.

19 With respect to the language advanced by the
20 parties, we would respectfully submit that power metering
21 language of AT&T and MCI be rejected. Basically, there's a
22 concept there in the language without any means to implement
23 it. And not only that, both of the paragraphs I read to you
24 allows AT&T to simply walk away from it. If they want it,
25 they can have it. If they don't want it, then they don't

1 have to have it. And I don't know that you can have it both
2 ways.

3 Both of those paragraphs I read to you state,
4 if I recall properly, that AT&T or the collocator at its
5 option. For those reasons, your Honor, we submit that the
6 arbitrator's report should not be implemented, that the
7 language advanced by the parties should be rejected.

8 Now, candidly, the question becomes what is
9 the appropriate outcome, ultimately, as a business matter?
10 Our clients have thought about this very much. And there's
11 no question but that the No. 1 priority is for our company to
12 be able to stop sign to operate under the tariff. The tariff
13 has been in place. It works. And if it doesn't work,
14 there's a process by which to challenge it via a complaint or
15 other appropriate Commission-approved procedural mechanism.
16 That is the result that should obtain. And for that reason,
17 both the rated power draw and the CLECs' language must be
18 rejected.

19 There's no question, however, that metering is
20 not the preferred choice. If it is an option between rated
21 power draw, meaning either perhaps list one or list two, it's
22 unclear, that is a preferable option than any power metering.

23 I have only a few words remaining on the other
24 collocation issue. And that has to do with the -- my
25 defense, if you will, of a CLEC charge having to do -- or a

1 CLEC attack on a win by SBC. And that win had to do with in
2 the instance in which a collocator exits a cage or reduces
3 its power needs. And in that regard, the cable is no longer
4 necessary. And the charge that we asked to impose has to do
5 with cable removal. And the arbitrator ruled that the -- I'm
6 very sorry. I misspoke. It is not a defensive charge.

7 The arbitrator ruled that we could recover the
8 charge once the work is performed for cable removal. We have
9 asked that the charge be imposed and recoverable before the
10 work is started. Please excuse me. I was confused. No
11 other CLEC Coalition member, indeed no other CLEC, challenged
12 this language. That is our language seeking to be paid for
13 cable removal before work is done. The only suggestion
14 that's ever been made as to why it ought not be recoverable
15 before it's done is Ms. Crable's [ph. sp.] testimony and the
16 CLEC Coalition has relied on it, that it may be the case that
17 SBC may, quote-unquote, may remove it, but they may not.

18 And then until such time as they do, they
19 should not be paid. There is no evidence whatsoever that
20 that cable will not be removed. That that work will not be
21 done. The evidence is clear that we have already been
22 contractually required, because of agreed-upon language to
23 remove that cable, Section 2.23.4 and 2.23.3 of agreed-upon
24 language in the collo appendix makes it clear that SBC,
25 quote, will perform the power cable removal work above the

1 rack level, and in the other reference to the language,
2 quote, will perform the interconnection cable removal work
3 above the rack level. Same language, replicated in both
4 places.

5 There is some suggestion that it could be
6 reused. Well, that's an assumption that has no basis in the
7 evidence. And Mr. Poole testified to that in detail at Page
8 15 of his rebuttal. You can't just simply leave it in the
9 cage thinking that it can be reused or that it will be
10 reused. That is an assumption that has no basis. Mr. Poole
11 did testify candidly that it may not be done right now.

12 Mr. Poole testified that the work might be
13 delayed until there are other decommissioning jobs so that
14 efficiencies allow the employees to come in and remove cable
15 in one fell swoop, if you will. But the fact is it will be
16 done. Therefore, we support the -- the language, we believe
17 that that language should be implemented; that is, that cable
18 removal costs in a decommissioning of a cage should be made,
19 those charges and those payments should be made before the
20 work is started, not after the work is performed. Thank you.

21 JUDGE THOMPSON: Questions? Thank you,
22 Mr. Gryzmala. Mr. Magness. I have never considered the
23 phrase "entrance facility", you know, with quite the depth
24 and breadth that I have during this.

25 MR. MAGNESS: It's like considering a

1 beautiful poem.

2 JUDGE THOMPSON: It is.

3 MR. MAGNESS: You really have to roll it over
4 in your mind quite a few times. Commissioners, your Honor, I
5 just want to touch on the last issue Mr. Gryzmala raised that
6 the only issue here is whether SBC gets paid for removing
7 cable when they remove cable, or whether they get paid for
8 removing cable ahead of time, whether or not they ever remove
9 it.

10 This issue that, you know, it will be done, it
11 shall be done, that the testimony actually from SBC was they
12 wanted to get paid ahead of time in case the CLEC went
13 bankrupt, or they wanted to get paid ahead of time in case
14 something else happened. We believe that the testimony
15 supports, and the CLECs are perfectly willing, to pay for
16 these things when the work is done, pay for the labor at fair
17 rate. But paying ahead for something that may not happen, we
18 don't think is appropriate. So that's the only clarification
19 on that issue. Thank you.

20 JUDGE THOMPSON: Thank you, Mr. Magness.

21 Mr. Zarling.

22 MR. ZARLING: I just point out for the record
23 that Ms. Bourianoff took her shot at collo issues yesterday
24 and exited the state, so we've got -- I would say our
25 comments are on the record, largely defensive on this one

1 issue of power metering that Mr. Gryzmala raised. We support
2 the arbitrator's decision on that issue.

3 JUDGE THOMPSON: Thank you. Okay. That takes
4 care of collocation. Am I correct?

5 MR. GRYZMALA: Yes, sir.

6 JUDGE THOMPSON: We're now talking about the
7 poles, conduits, and rights-of-way.

8 MR. GRYZMALA: Yes, sir.

9 JUDGE THOMPSON: Mr. Gryzmala, step up.

10 MR. GRYZMALA: Thank you. Once again, against
11 -- as opposed to several issues that were decided on poles,
12 conduit, and right-of-way, we have but one that we would ask
13 the Commission to look at. We're asking the Commission, that
14 in an instance where a CLEC does not identify a pole, the
15 owner of a pole to which it requests access, that SBC
16 Missouri be compensated to perform the pole ownership records
17 research on the CLEC's behalf.

18 This is research the CLEC could do for itself,
19 the same way as SBC's own engineers and other employees must
20 do. It's discussed at Section 8 of the arbitrator's report,
21 Pages 11 to 13, and Pages 231 through 233 of SBC's comments.
22 Now, the arbitrator in this matter did not approve the
23 language that SBC proposed, in part because of the statement,
24 the rationale that SBC is in a better position to know
25 whether a pole is owned by SBC; secondly, the charging CLECs

1 would increase their costs of doing business; and thirdly,
2 there was a suggestion that this kind of charging may thwart
3 competition.

4 We disagree with all of those points but want
5 to point out that instead, a pole ownership records research
6 takes time. Our people have to do it when requested, and
7 when requested, then it takes time and expense to do the
8 work. I emphasize that AT&T and the CLEC Coalition employees
9 can do the same work that it asks us to do without charge.
10 They can identify, they can review, they can rather review
11 our records, they can go to the field to identify ownership
12 based on pole markings at the site, whether for example, that
13 pole is owned by the cable company or an electrical utility
14 or SBC or another.

15 The fact that we may be in a better position
16 to know which poles are owned by us does not mean that we
17 should not be compensated at all. The fact that it might
18 also increase the cost of the CLECs doing business is
19 immaterial. When you enter a business, there are certain
20 costs that you have to reasonably absorb, and it is not fair
21 for SBC to incur the cost of additional -- of this as within
22 its cost of doing business when it hasn't asked for the pole
23 research, it doesn't benefit by it at all. This is a charge
24 that's fair and should be imposed upon the CLECs.

25 Now, I grant you there are, and I don't have

1 data and I don't know that there's data in the record, but it
2 is fair to say there are a good number of poles that may be
3 owned by SBC, but the fact remains they're not, and poles --
4 the ownership of poles changes. That is not untypical, among
5 utilities, among pole owners, the ownership does change.
6 Those records are in flux, they need to be researched, and
7 when a CLEC asks us to do that work, when they don't identify
8 an owner of a pole, we should be paid.

9 It might take less time if we own the pole and
10 the search is easy after we look into the records, and that's
11 fine. The charge will reflect that. If, however, we do have
12 to go into anymore research, that, too, should be compensated
13 for. Our fundamental view is regardless of pole ownership,
14 who owns the pole, we're being asked to do a job, and we
15 should be paid for that.

16 There's no question -- well, I want to touch
17 on that there was some suggestion in the testimony that we
18 didn't support or rather there was -- well, I'll leave it at
19 that. Thank you.

20 JUDGE THOMPSON: Thank you very much.

21 Mr. Magness.

22 MR. MAGNESS: Nothing on this one, your Honor.

23 JUDGE THOMPSON: Mr. Zarling.

24 MR. ZARLING: Just very briefly I would point
25 out, I mean, the arguments that we made were largely that

1 this is from the existing M2A, and we're not quite sure why.
2 This was not a burden before and it's such a burden on SBC
3 now, except perhaps that now they've gotten their long
4 distance relief and so they just don't want to do it anymore.

5 And other than the fact that Kansas and Texas
6 recently agreed with us, I think that was basically our
7 position. The change to the status quo by SBC really wasn't
8 supported. Thank you.

9 JUDGE THOMPSON: Thank you. So now we're done
10 with poles, conduits, and rights-of-way. This is wonderful.
11 E911.

12 MR. BUB: Yes, sir.

13 JUDGE THOMPSON: Mr. Bub, step up, sir.

14 MR. BUB: Thank you, your Honor. I believe we
15 can cover this one briefly as well. This is an e911 issue
16 where SBC Missouri is asking the Commission to relook at one
17 of its determinations. And specifically for your reference,
18 it was what the arbitrator listed as Arbitrator Issue 6, and
19 the CLEC Coalition issued it as -- or labeled it as e911
20 Issue 4.

21 And the question is who should be responsible
22 for correcting 911 database errors caused by SBC. And here,
23 we believe that the CLEC language improperly imposes a duty
24 on SBC Missouri that basically it's unable to perform. In
25 this situation, the CLEC is -- facility-based carrier using

1 its own switches, and in that situation, SBC Missouri doesn't
2 have the information that would allow it to correlate the end
3 user's physical address with the telephone number that the
4 CLEC has assigned to it in its own switch.

5 And basically because this is something that
6 we can't -- because of that information, we can't determine
7 whether we've made an error or not, so we're unable to fix it
8 if that responsibility is ours. So we're concerned that
9 because we can't -- because this is something we can't do, it
10 likely won't be done, and we're concerned that placing this
11 responsibility on us may jeopardize public safety. So we ask
12 the Commission to relook at it. Thank you.

13 JUDGE THOMPSON: Thank you, Mr. Bub.
14 Mr. Magness.

15 MR. MAGNESS: Commissioner, your Honor, just
16 one thing for the record, on the collocation issue, I left a
17 little bit of law on the table. I wanted to cite to on that
18 charging issue, the Commission's last generic arbitration
19 Case TO-2001-438, where an issue arose about disconnect
20 charges for UNEs, and the Commission ruled that those should
21 be imposed when the disconnect actually occurs as opposed to
22 charging them in advance. We think that's a more appropriate
23 precedent than the negative net salvage analogy that was in
24 the report. So I meant to add that as well.

25 On the 911 issue, the issue where we are

1 concerned shows up in the arbitrator's report Section 9,
2 Page 5. It's entitled reference to SBC's access tariff.
3 It's CLEC Coalition e911 Issue 3. Here the concern is with
4 how it is that CLECs may be charged for accessing 911
5 services. The 911 trunks that CLECs need to use to reach the
6 PSAPs and provide the P-S-A-P, PSAPs, and provide 911
7 services to their customers, excuse me, the contentions
8 adhering are whether those are interconnection or not and
9 whether they should be provided at cost-based rates.

10 The CLEC Coalition contends that SBC's
11 arguments were incorrect on this, that at the state and
12 federal level, 911 services are part of local service, and
13 911 facilities are used to interconnect the party's networks.
14 I think as SBC referenced earlier today, 911 is not called to
15 a 911 PSAP, it's not like a call to a pizza parlor. This is
16 not like just serving any other customer. This is the way
17 that all customers access emergency services.

18 And at the state level, Missouri statutes and
19 rules include 911 services as part of basic local telephone
20 communication service. In addition, there is a universal
21 emergency number service that SBC provides to 911 entities
22 under its general exchange tariff. The 911 entities purchase
23 these services for the ability to receive emergency calls
24 from all TeleCom customers regardless of which company
25 provides those services to those customers.

1 At the federal level, in addition, the FCC has
2 noted in its considerations of VoIP traffic and IP-enabled
3 services, that -- and I'm quoting from the FCC's IP-enabled
4 services First Report and Order issued last year, paragraph
5 38, that we note that the FCC, the Commission, currently
6 requires LECs to provide access to 911 data bases and
7 interconnection to 911 facilities to all telecommunications
8 carriers pursuant to Sections 251(a) and (c), and Section
9 271(c) (2) B VII of the Telecom Act.

10 So again, this is a critical public safety
11 service. The interconnection with those 911 trunks is
12 something that is critical to CLECs' ability to provide
13 service and public safety. CLECs providing service to
14 Missouri exchanges under the arbitrator's award may have to
15 purchase under the state access tariff for those
16 interconnection services or facilities.

17 This would be a change to the current
18 treatment, and we are very concerned that given the much
19 higher level of the published rates in the SBC intrastate
20 special access tariff where these facilities might come from,
21 this might increase CLECs' cost of business rather
22 dramatically, and not based on any cost study or any
23 difference in cost, but simply on this changed purchasing out
24 of that tariff. And increasing those costs on a service that
25 is related to public safety and is one that the CLECs really

1 have no realistic choice of opting out of, we believe is
2 inappropriate, both under the Federal Act and under state
3 law.

4 Enforcement, generally, in the 911 area, the
5 arbitrator was reluctant to make changes to the current M2A
6 911 language, requiring that CLECs purchase 911 facilities
7 from the SBC intrastate access tariff is a change, as I
8 noted, from the M2A, we believe is going to result in
9 substantially higher costs. Understand the M2A, the current
10 \$85 per DS0, that is per voice grade line rate that's in
11 attachment e911, includes both the trunk and the facility
12 charge.

13 Under the current ruling, CLECs must continue
14 to pay this existing rate as a trunk charge, plus purchase
15 underlying facilities under the access tariff. So that's a
16 major change. And just to give you some perspective, the
17 published rate in SBC's intrastate special access tariff, the
18 transport facility would be a minimum of \$450 per month.
19 Even when the CLEC is located in the same central office as
20 the selective router where the PSAP is, and we really need
21 nothing more than a cross-connect from our facility to
22 theirs, and yet it's going to dramatically increase that
23 cost.

24 We don't think this makes a lot of sense,
25 given that we're talking about 911 service, and given that

1 there was absolutely no cost support that showed that anybody
2 was losing any money under the current arrangements. So we
3 would suggest that that portion of the arbitrator's award be
4 reconsidered.

5 And that is all of the affirmative issues that
6 the CLEC Coalition has to present to you.

7 JUDGE THOMPSON: Really. Thank you.

8 MR. MAGNESS: Thank you.

9 JUDGE THOMPSON: Now, are you asking to be
10 excused or are you going to remain to rebut?

11 MR. MAGNESS: I will not leave until the party
12 is over, your Honor.

13 JUDGE THOMPSON: I admire your stamina.
14 Mr. Zarling.

15 MR. ZARLING: Luckily, we don't have any 911
16 issues.

17 JUDGE THOMPSON: Very well. Performance
18 measures, Mr. Gryzmala.

19 MR. GRYZMALA: Thank you, your Honor. Our
20 position with respect to performance measures is clear that
21 with all due respect, the arbitrator erred in deciding the
22 performance measurements relating to our Section 271
23 performance should be reflected in the CLEC Coalition's ICA.

24 This dispute has nothing to do with any other
25 CLEC except the CLEC Coalition group, as it were. It's

1 probably self-evident that if this Commission decides, as it
2 should, that it has no jurisdiction with respect to 271, as
3 has been argued extensively over the last day, that the
4 performance measurement argument follows as a matter of
5 course.

6 If, as the Commission -- if the Commission
7 holds, as we have requested that it hold in the other matters
8 that have proceeded me, there's no occasion to measure 271
9 performance at all. For that reason alone, and you need to
10 go no further.

11 I want to point out a couple of additional
12 reasons, however, why the performance of SBC Missouri for
13 under 271 should not be measured, and these are separate and
14 independent reasons. Firstly, there is no cause for concern
15 here. This Commission receives monthly results as to SBC's
16 performance and has for a very long time. I would refer you
17 to the excellent, superior nature of that performance.

18 Attached to Schedule 2 to Mr. Dysart [ph. sp.]
19 testimony lays out the data on one page dating from December,
20 2001, which is approximately a month after SBC Missouri was
21 granted 271 relief, and that data is never below 95 percent.
22 That is quality wholesale service. There is no concern that
23 based in the reported data, and no CLEC has reported any hard
24 evidence as to any problems experienced with SBC's wholesale
25 performance that militates in favor of adding 271 measures

1 into the agreement.

2 If there ever be any concern, as we all well
3 know, the CLECs know exactly how to register it. They can go
4 right to the FCC, they can ask the FCC to exercise 271(d)(6)
5 enforcement authority, and they will be heard. In both
6 situations in which the matter has been reviewed, in Texas
7 and in Kansas, the proposal has been a nonstarter.

8 On June 20, 2005, the Texas Commission
9 declined to include terms and conditions for the provisioning
10 of would 271-related elements in the ICA, as we have heard.
11 And for that reason, the Commission did the next thing with
12 respect to PMs, and likewise determined that there would be
13 no PM reporting either. That followed as a result of the 271
14 holding. I would refer you to the Track 2 Order, June 20,
15 2005, in docket 28821, at Page 18.

16 Now, if memory serves, you will not see the
17 word PM, or performance measures, on Page 18. That is where
18 you will find the 271 holding. What you have to kind of look
19 at is the DPL underneath it and the DPL underneath it, the
20 master list of issues regarding general terms and conditions,
21 CLEC Coalition Issue No. 1, and master list of issues
22 regarding performance measures, which refers back to the
23 Commission Decision Issue No. 1 makes it abundantly clear.
24 There will not be 271 PM's in Texas.

25 Likewise, in Kansas, the result is effectively

1 the same, although so far as I can tell, it is merely at the
2 arbitration -- at the arbitrator's level. I have an Order
3 dated June 8, 2005, in which the arbitrator concludes -- I'll
4 quote it. The arbitrator concludes, as he did in all
5 previous 271-related issues, that the FCC possesses
6 preemptive jurisdiction over 271 matters, including
7 enforcement proceedings.

8 Consequently, the arbitrator finds for SWBT,
9 the agreed to PM attachment to the successor ICA shall not be
10 applicable to 271 network elements. Again, that was at the
11 arbitrator's level dated June 8th, that's the matter there.

12 My last point, frankly, two last points. One
13 last point. The arbitrator made mention, with all due
14 respect in his Order, that the inclusion of such performance
15 measurements in the ICA would greatly facilitate review
16 performance by the FCC, if necessary. That's at Page 4.

17 Your Honor, I would respectfully submit to you
18 that if the FCC wants data on our wholesale performance, it
19 knows how to ask for it. And I will commend to you the
20 Section 271 Missouri Approval Order, which contains the same
21 language which was used verbatim in almost every 271 Order,
22 every one that I know of, across the United States.

23 In Missouri, it appears at Page -- Paragraph
24 139. We require SWBT to report to the Commission all
25 Arkansas and Missouri -- because it was a combination

1 application -- carrier-to-carrier performance matrix,
2 results, and performance assurance planned monthly reports
3 beginning with the first full month after the effective date
4 of this Order. And for each month thereafter for one year,
5 unless extended by the Commission.

6 Bottom line, when the FCC granted its 271
7 applications out of the states, it wanted to keep a handle on
8 wholesale performance. And so what it did in each of the 271
9 Orders you will find, there's always a paragraph here in the
10 back, herein the November 16th, 2001, Arkansas Missouri 271,
11 at Paragraph 139, it's basically saying performance
12 reports --

13 JUDGE THOMPSON: You've got to slow down.

14 MR. GRYZMALA: I'm sorry. The FCC is saying
15 we want these performance reports for one year. They no
16 longer receive them. To my knowledge, the one year lapsed,
17 and I know of no SWBT state, nor any state in SBC's 13 states
18 that any longer provides the FCC with the performance
19 measurement reports that were planted as a requirement in the
20 271 approval orders. I'm not aware of any.

21 It just seems counterintuitive for the FCC to
22 have told us that they only want to see these reports for a
23 year, while on the other hand, the Commission decides that
24 these might facilitate FCC review sometime later down the
25 road. The FCC knows how to ask these reports and go about

1 getting them. We respectfully submit our performance has
2 been good, it's been superior. There's no reason to have
3 these measures included. The only CLEC that wants them out
4 of the collaboratives that ended up in the agreed new set of
5 measures. There should be no separate measures, no
6 additional measures for the CLEC Coalition. Thank you.

7 JUDGE THOMPSON: Mr. Magness.

8 MR. MAGNESS: I would never have predicted
9 that the last issue I would address would involve Section 271
10 obligations. Much to my shock and surprise.

11 Commissioners, on this issue, I'd like to note
12 just that obviously this issue rides on whether the
13 Commission determines to maintain what's in the arbitrator's
14 report concerning Section 271 obligations, checklist items
15 being in the interconnection agreement. And we've discussed
16 that quite a bit.

17 I will note for you in SBC's comments that the
18 United States Supreme Court case of Verizon versus Trinko,
19 and there the Supreme Court is talking about the 271 process
20 and how those 271 procedures work. In that case, the Supreme
21 Court notes the FCC described Verizon as having entered into
22 a performance assurance plan as a significant factor in its
23 Section 271 authorization because that provided, quote, a
24 strong financial incentive for postentry compliance with the
25 271 checklist, closed quote, and prevented backsliding, end

1 quotes.

2 And that's from Verizon Communications versus
3 Law Office of Curtis Trinko, 540 U.S. 398, 413 -- 412-13.
4 Obviously, the anti-backsliding provisions, the performance
5 provisions are very important to 271 compliance, and the
6 point we tried to make on behalf of the CLEC Coalition is to
7 the extent these checklist items remain in the
8 interconnection agreements, just as performance for Section
9 251 provision of UNEs needed to be checked as an
10 anti-backsliding measure, so would performance of provision
11 of loops; for example, if they're provided under a different
12 section of the statute.

13 The concept is the same, that wholesale
14 performance should be measured, and when it fails, there
15 should be consequences, and that's going to help preserve
16 competition. So that's point there, and obviously it rises,
17 I'd say, on the Commission's decisions on Section 271, and
18 we've discussed those quite a bit. So that's all I have on
19 that one. Thank you.

20 JUDGE THOMPSON: Thank you, sir. Mr. Zarling.

21 MR. ZARLING: Not an AT&T issue. Thank you.

22 JUDGE THOMPSON: Very good. Billing and
23 recording, Mr. Bub.

24 MR. BUB: Thank you, your Honor. There are
25 two issues here. And the first is an issue that we're

1 raising with respect to determination that the arbitrator
2 made here and this was in Section Roman Numeral XI, billing
3 clearinghouse recording issues, and arbitrator had a section
4 called billing format. AT&T labeled it as Billing Issue 1.

5 And from their perspective, they wrote the
6 question as should SBC have the unilateral ability to
7 discontinue industry-standard billing format. And we had a
8 different version of that issue. And our version of the
9 issue was is it appropriate for a 271 agreement to address
10 billing for products and services that are not offered
11 pursuant to Section 251, and are not contained in the 251
12 agreement.

13 I think the concern here from AT&T's
14 perspective is that we're using our CABS billing system as a
15 billing system. It's a real large billing system that we use
16 to bill access and we bill various unbundled network, various
17 wholesale products to our CLEC wholesale customers.
18 I think their concern is that we're not going to use that
19 system, the CABS system, to bill things that -- but they're
20 used to the system, they're used to how it works, and they
21 just don't want to change.

22 And in our testimony, and in our comments
23 here, we're trying to ask the Commission to relook at this
24 because we're not seeking the right to unilaterally
25 discontinue an industry-standard billing format or disrupt

1 the current billing processes that were used in CABS. CABS
2 is our system, and we want to use it, and where we can use
3 it, we will.

4 And if a UNE -- particular UNE, whatever it
5 is, is delisted, so it's no longer a UNE, but we may provide
6 it on a -- on a wholesale basis, perhaps under our commercial
7 agreement. If we can bill it through CABS, we're going to
8 bill it through CABS. That's our system.

9 What we're concerned about is in our wholesale
10 agreement, we may agree or want to agree or offer a different
11 form of pricing structure, maybe instead of per minute
12 charge, maybe we'd like to come up with some kind of volume
13 discount or a sliding scale discount for usage. CABS can't
14 accommodate that.

15 So our concern here is that this agreement,
16 which is a 251 agreement, is restricting us from offering
17 services that may be billed in unique and creative ways for
18 things that are no longer 251 items. So that's what this
19 issue is about, and we'd ask the Commission relook at that.

20 then I have one other issue, but before I turn
21 to that, if there are any questions, I can answer them now.
22 Okay.

23 JUDGE THOMPSON: Please proceed.

24 MR. BUB: The second is an issue that AT&T
25 raised, and I think Mr. Zarling referred to it as a

1 comprehensive billing issue, and I think it was their
2 Issue 3. And here, the Commission ruled that their proposal,
3 which was a default billing issue, if the OCN, or CIC, the
4 carried identification code, isn't passed to them on certain
5 types of calls, they want ability to default SBC -- default
6 bill SBC, even though it may have been another carrier that
7 originated the call, perhaps the carrier using SBC Missouri's
8 switch on an unbundled basis.

9 So just making this up, could be make Birch
10 using our switch to initiate a call to an AT&T end user. And
11 Birch -- and SBC, I think, in their example, may also be
12 using our switch. So their view is that if we can't give him
13 the OCN or the CIC, then we should be responsible to
14 terminate that call. They're asking the Commission to
15 overturn the determination that there's no default billing.

16 We think their position is inconsistent with
17 the Commission's enhanced record exchange rule for a couple
18 of reasons. One, is the rule is originating responsibility
19 plan and it doesn't commit to fault billing. And second, if
20 there is a problem with records, the rule contemplates the
21 parties work together to determine who that originating
22 responsibility -- who that originating responsible party is
23 so that they can be appropriately billed. And we're
24 certainly willing to do that, and that's what should be done
25 here.

1 The second inconsistency that we pointed out
2 that I think was cited in the arbitrator's report for
3 rejecting AT&T's proposal was that this is inconsistent with
4 the meet cap guidelines, and those are industry-standard
5 billing guidelines. And under those guidelines, and our
6 practice, is to bill the originating carrier. So in our
7 example, it would be to bill Birch.

8 The billing folks, like Mr. Reed, our witness,
9 refers to this as the default option. In their testimony,
10 and I think in their comments challenging the arbitrator's
11 decision, here AT&T points to an option that are in the
12 guidelines that allows the billing to be done to the
13 unbundled switch provider.

14 There, the guidelines say that this option
15 may, M-A-Y, be used. He testified that this means that the
16 parties must agree to it, that it's not the default. It's
17 something they may agree to, but it's something that's not
18 normally used. We don't think this option's appropriate, and
19 we believe the arbitrator's determination on this issue is
20 correct. So that concludes my presentation. If there's any
21 questions, I will answer them.

22 JUDGE THOMPSON: I don't hear any. Thank you,
23 Mr. Bub. Mr. Magness.

24 MR. BUB: I appreciate your time.

25 JUDGE THOMPSON: I appreciate your

1 preparation.

2 MR. MAGNESS: Nothing on, this your Honor.

3 JUDGE THOMPSON: Mr. Zarling.

4 MR. ZARLING: The first issue, which Mr. Bub
5 raised, one where AT&T prevailed, he said that, well, the
6 issue is, as AT&T phrased it, should SBC have the unilateral
7 ability to discontinue industry-standard billing format.
8 Arbitrator agreed with AT&T's proposed language here, and
9 Mr. Bub, the primary thing I took away from his argument was
10 that SBC should be able to create new billing processes, if
11 they come up with new and novel ways, to bill things that
12 wouldn't necessarily be consistent with the CAB system that
13 we're trying to keep in place.

14 AT&T's position is basically is that if SBC
15 wants to develop a new system, that's all fine and good, but
16 we shouldn't be required to accept it or adopt it. You know,
17 in the absence of our agreement that something other than
18 CABS will be used, CABS is what should apply. And the
19 arbitrator agreed with us, and we would encourage the
20 Commission to affirm that decision.

21 The second issue is one where, in fact, AT&T
22 did raise in its comments where we had a problem with a
23 decision on -- by the arbitrator, decision on Comprehensive
24 Billing Issue 3. And that issue is -- well, there's really
25 two issues here, but they're joined together, because they're

1 related, 3(a) and 3(b).

2 Should SBC Missouri be required to provide
3 AT&T the OCN -- I think it's operating company number -- or
4 CIC, carrier identification code, CIC and OCN -- as
5 appropriate. A third party's originating carrier is when
6 AT&T is terminating calls of the unbundled switch user of SBC
7 Missouri. And the second issue is should SBC Missouri be
8 billed under default basis when it fails to provide the third
9 party originating carrier OCN or CIC as appropriate to AT&T
10 when AT&T is terminating calls as the unbundled switch user.

11 The arbitrator went with SBC on this issue,
12 reading the comment -- the report, it seems like the primary
13 basis or rationale for the arbitrator's decision rested on
14 the new Chapter 29, rules and I guess in response to that,
15 the first thing I'd say is it's very important for the
16 Commission to keep in mind that AT&T's proposed language here
17 applies in only one situation.

18 It's a situation where AT&T is using SBC's
19 unbundled local switch to terminate a call. So we're talking
20 about records that SBC provides AT&T because it's SBC's
21 switch. We can't bill originating carrier because -- we can
22 only bill the originating carrier with the records that SBC
23 provides us, even though we're technically the terminating
24 carrier, we're using SBC's switch, and they produce the
25 records, and we need those records to bill the originating

1 carrier.

2 The question of the application of the
3 Commission's rules, I mean, first of all, the Commission's
4 rules are quite clear that the original carrier is supposed
5 to pass CPN, so I guess one could presume that to the extent
6 that other identifying information like OCN or CICs are
7 required, if they're not passed, then the originating -- it
8 wasn't -- it wasn't some other carrier other than SBC that's
9 passing the traffic.

10 And that's kind of what the issue boils down
11 to is how do we know that some other carrier's traffic that
12 we should be working together with SBC to identify who the
13 originating carrier is when the information we need to
14 determine that it is, in fact, somebody other than SBC is
15 sending us the traffic. It's very fair for us to presume
16 that traffic coming over facilities to an SBC switch is
17 SBC's, unless SBC can point us to some other information.

18 And then along the lines of the application of
19 the rule, why we raised this issue, also, in spite of all the
20 hard work that the staff and arbitrator did, there was so
21 many things to sift through. On this particular issue, the
22 report refers to SBC as the transiting carrier. In this
23 particular case, SBC is not the transiting carrier. There's
24 a number of different scenarios describing what the
25 originating carrier might be here.

1 The originating carrier might be someone who
2 uses SBC's switch, so they're also a UNE user. It could be
3 another CLEC with their own switch, or it could be an IXC.
4 But in all instances, the traffic is coming over
5 interconnection facilities that those carriers, and in some
6 cases SBC itself, has established to another SBC switch.
7 The switch that AT&T is using.

8 It sort of defies logic for SBC to argue, and
9 I think the evidence in this case shows that, you know, they
10 agree. They can tell whose traffic is coming over the trunks
11 into their switches. So SBC knows, even if they don't have
12 the CIC or the OCN, in the data stream, they know whose
13 traffic is coming over those trunks, because carriers put in
14 trunks to SBC switches.

15 So with that, I think I'll just commend you to
16 our comments. This began on Page 36 of our comments. I
17 think that maybe the arbitrator and staff weren't entirely
18 clear what we were asking for with our language here or what
19 the exact situation was because there is no transiting by
20 SBC, and with AT&T being the terminating carrier using an SBC
21 unbundled switch, we absolutely need SBC to give us the
22 records that demonstrate who the originating carrier was.
23 Thank you. If there's no questions --

24 JUDGE THOMPSON: Thank you, Mr. Zarling.
25 Okay. Are we ready for numbering? You're looking at me

1 blankly. I'm still on the right case, right? No one has a
2 numbering issue?

3 MR. GRYZMALA: I think, your Honor, if I could
4 jump in, I think all that's left is OSS, one item, and the
5 only LEC, I understand, is left to the party's briefs.

6 JUDGE THOMPSON: OSS?

7 MR. GRYZMALA: Right, I'm sorry.

8 JUDGE THOMPSON: Let's hear about OSS.

9 MR. GRYZMALA: Good afternoon, your Honor.
10 Thank you.

11 JUDGE THOMPSON: Certainly.

12 MR. GRYZMALA: We have just one issue relative
13 to OSS. It is what we'll call an offensive issue in the
14 sense that we're asking the Commission to revisit the matter
15 and the ruling of the arbitrator. We would ask that the
16 Commission reject language that had been proposed and that
17 the arbitrator had approved, brought by the CLEC Coalition.

18 Again, this is only a CLEC Coalition issue,
19 has nothing to do with any other group of CLECs or any other
20 CLECs than the CLEC Coalition. And that language has to do
21 with collaborative forms, that CLECs and ILECs participate in
22 in this case, CLECs and SBC Missouri. We're asking that the
23 Commission reject the CLEC Coalition's language that would
24 allow it to effectively exercise a go/no-go veto power over
25 OSS resolutions and process changes established in a couple

1 of these collaborative forms.

2 Probably most important collaborative forms,
3 that being CLEC user form and the changed management form.
4 Discussion on the topic is at Pages 8 to 10 of Section 14 of
5 the arbitrator's report, and our comments address the subject
6 at Pages 239 to 241. Their language, that is, the CLEC
7 Coalition's language, would propose that resolutions and
8 process changes that are established in the user and changed
9 management forms would be valid, quote, when incorporated by
10 amendment into the agreement, or as otherwise mutually agreed
11 in writing by the parties, end of quote.

12 We do not believe that process changes and
13 resolutions that are generated by a result of the user forum
14 or the changed management forum, so-called CMP forum, should
15 be subject to veto power. They should become self-executing.
16 Collaborative forms have been around for several years, and
17 in large measure, if not principle measure, they were
18 generated by CLECs at the behest of CLECs who had input in
19 drafting the guidelines and coming up with the ground rules
20 by how these forms will operate.

21 In the OSS world, these are important, and
22 results of these forums are built into the business in the
23 way by which our companies do business. I have very little
24 remaining on the point, except that I would emphasize, yet
25 again, that we're asking this Commission to tell the CLEC

1 Coalition, no, you don't get a go/no-go vote in the
2 interconnection agreement. What happens at the CLEC
3 processes and forums, if you have a go or no-go vote there,
4 then you should put it on the table there, and let that
5 impact be felt.

6 We believe that's the theme of this
7 Commission's approach to these collaborative forums. I would
8 commend the Commissioners and the arbitrator to the Missouri
9 Commission's September 10, 2001, written consultation that
10 was submitted to the FCC, known as its document in support of
11 SBC Missouri's Section 271 application. And I will commend
12 to you paragraph -- excuse me, Pages 11 and 12, which go to
13 the heart of this particular subject, and I'll quote it and
14 then I'm done.

15 We found that Southwestern Bell's changed
16 management process, CMP process, allows Southwestern Bell to
17 notify CLECs of new interfaces and changes to existing OSS
18 interfaces. And that it also provides for the identification
19 and resolution of CLECs' concerns regarding Southwestern
20 Bell's interfaces. The CMP's effectiveness and Southwestern
21 Bell's adherence to it over time were monitored by the Texas
22 Commission, examined by Telcordia, and approved by the FCC.

23 CLECs played a significant role in the
24 establishing the CMP, and they are afforded ample opportunity
25 to supply input regarding their needs or concerns, including

1 the ability to halt implementation through a go/no-go vote.

2 I close by reemphasizing, yet again, that the
3 CLEC Coalition has the opportunity to exercise a go/no-go
4 vote. It's at the forum. It should not be entitled to a
5 go/no-go vote here. The arbitrator ruled incorrectly when
6 determining that as a contractual matter, it could not be
7 obligated. We submit that the CLEC Coalition can be
8 obligated and should be obligated to abide by these, and that
9 these resolutions and process changes would be
10 self-executing.

11 Thank you, your Honor.

12 JUDGE THOMPSON: Thank you, Mr. Gryzmala.

13 MR. MAGNESS: Mr. Magness.

14 MR. MAGNESS: Thank you, Judge. Not only was
15 the existence of these changed management processes important
16 to this Commission in adopting the 271 authorization for SBC,
17 it was important to the FCC as well. In the whereas clauses,
18 the very first language you read in the M2A, whereas clauses
19 note the existence of wholesale SBC collaborative processes
20 of the development of business-to-business relationships that
21 would maintain local competition's viability and change
22 management process and these sort of notice and discussion
23 procedures were key in those.

24 We negotiated this interconnection agreement
25 successfully with SBC, we asked them to maintain that

1 language in the general terms and conditions so we would be
2 assured those collaborative processes would, indeed, continue
3 to exist. They refused. They would not put those things in
4 writing in the contract. That raised a concern.

5 The arbitrator approved the inclusion of those
6 whereas clauses, and that's, again, part of the general
7 Section 271 dispute before the Commission, but the language
8 that's specifically referenced has to do with those
9 collaborative processes and we're extremely committed to them
10 continuing. The particular language, however, has to do with
11 assuring that there is collaboration in the collaborative
12 process, that SBC is not able to unilaterally determine that
13 certain process changes will be made and over the strong
14 objection of a CLEC, who may have ordered its business
15 differently, implement this project unilaterally through an
16 accessible letter or some other notice procedure.

17 So this tries to implement in the party's
18 governing contract some binding contract language that gives
19 CLECs some assurance that SBC will not be able to act
20 unilaterally and without true collaboration. And there was a
21 good reason to try to negotiate and arbitrate this language,
22 in that we were seeing resistance by SBC to put it in writing
23 that they would continue collaboration in the first place.

24 We think the arbitrator did the right thing in
25 adopting this language. It's consistent with what we've seen

1 in other arbitrations, and we urge that it be maintained in
2 the agreement. Thank you.

3 JUDGE THOMPSON: Thank you. Mr. Zarling,
4 anything?

5 MR. ZARLING: Nothing on this issue, your
6 Honor.

7 JUDGE THOMPSON: Mr. Bub.

8 MR. BUB: Your Honor, I may be able to shed a
9 little bit of light on your numbering question. That was an
10 issue raised by Sprint in its comments, and what they
11 basically said in their comments was for the reasons argued
12 in its brief and supporting testimony, Sprint contends its
13 language to be adopted for this issue.

14 We're content to handle this on paper, and we
15 would refer you to our brief where we addressed this issue as
16 well. So I don't think there's any need to further argue it,
17 and I think that was Mr. Leopold's intent as well.

18 JUDGE THOMPSON: That's fine with me.
19 Anything further from anyone?

20 MR. BUB: We had one issue that MCI had raised
21 in the line splitting area.

22 JUDGE THOMPSON: Step on up.

23 MR. BUB: Okay. In its comments on Page 3,
24 this was MCI's Line Splitting Issue 5, and it had to do with
25 cabling that went between a CLEC and a data CLEC's

1 collocation cages in one of our offices. And MCI is
2 challenging one of the arbitrator's determinations, and they
3 cite at Page 3 and 4 of their comments an FCC rule, and it's
4 Rule 51.319(a) (1), and they say it supports their position.

5 And there's two parts -- or two sentences that
6 they quote. First one says that an incumbent LEC shall
7 provide a requesting telecommunication's carrier that obtains
8 an unbundled copper loop from the incumbent LEC with the
9 ability to engage in line splitting arrangements with another
10 competitive LEC using a splitter collocater at the central
11 office where the loop terminates to a distribution frame or
12 it's equivalent.

13 I would point out with this rule that we do
14 what it says because our loop that we're providing to MCI in
15 this particular case does terminate into a distribution
16 frame. What they're asking for is an additional connection
17 to the main distribution frame. So as far as this rule is
18 concerned, we complied with it.

19 The second part of the rule they quote is (B),
20 and that says an incumbent LEC must make all necessary
21 network modifications, and they underline the word "all",
22 including providing nondiscriminatory access to operations
23 support systems necessary for preordering, ordering,
24 provisioning, maintenance and repair, and billing for loops
25 used in line splitting arrangements. We comply with that as

1 well.

2 We provide loops with no concern expressed
3 that we don't have the appropriate ordering arrangements for
4 loops. We do that. We have been doing it for years. And
5 that's not a problem. Simply stated, this rule that they're
6 citing here doesn't apply, and it's not inconsistent in any
7 way with what the arbitrator did here.

8 They raise a second concern, and this is at
9 the bottom of Page 4, they say finally, SBC's proposal may be
10 discriminatory to a CLEC, vis-a-vis what SBC is providing to
11 its own data affiliate. This is something that they --
12 they're not quoting their testimony, so this is something
13 that's new, but I can tell you that if our affiliate, ASI,
14 and another CLEC wanted to engage in line splitting, the same
15 terms and conditions would apply.

16 They -- in that same paragraph -- say that our
17 proposed CLEC-to-CLEC cabling offering requires a CLEC to buy
18 a minimum of either 24 or 28 DS1 cables regardless of present
19 or anticipated usage. Again, here, they have no citation to
20 their testimony. This is something that they -- doesn't
21 appear that was ever brought up during negotiations, or that
22 the size of the testimony was a problem -- size of the cable
23 was a problem, but you should note that in Missouri, if the
24 CLEC, in this case, MCI, would want to do it, they could
25 provide their own cable, so as far as size is concerned, they

1 could have just a single DS1 or they could have a DS3, as
2 long as that vendor that they're using is an appropriately
3 licensed and approved vendor to do the work, they can have
4 that cable placed themselves and we wouldn't even be
5 involved. I think that's it.

6 JUDGE THOMPSON: Thank you, Mr. Bub.
7 Mr. Magness.

8 MR. MAGNESS: Nothing, your Honor.

9 JUDGE THOMPSON: Mr. Zarling.

10 MR. ZARLING: Nothing.

11 JUDGE THOMPSON: Mr. Gryzmala.

12 MR. GRYZMALA: No, sir, thank you.

13 JUDGE THOMPSON: Everyone's done? Mr. Lane.

14 MR. LANE: No, I don't have anything, your
15 Honor.

16 JUDGE THOMPSON: Okay. I just thought I'd ask
17 everybody. We've reached a historic moment. Thank you all
18 very much for your very eloquent comments produced in a very
19 short turnaround. I apologize that your interval was reduced
20 by the fact that I took more time than I was supposed to.

21 The Commission Order will be produce the as
22 close to July 6th as is possible to do. I should tell you
23 that I've just received notification that the July 5th agenda
24 has been cancelled, consequently the first agenda where the
25 Commission will be able to take up and discuss this matter,

1 then, would be the agenda on the 7th, okay, which is already
2 a day after the date when it was hoped that the Order would
3 be available.

4 Never fear, I hope to produce a document for
5 the Commissioners to consider over that interval, and so
6 perhaps they would be able to move just as quickly on July
7 7th as they would have been had we had an agenda on the 5th.
8 Okay? I will certainly keep you posted as to the progress
9 that we make at this end in producing the Commission's Order.

10 MR. LANE: Judge, I reiterate that if the
11 Commission needs another week, obviously these issues are
12 important to us, and it's more important that they're right
13 for the next three years than they get out within the time
14 frame we set.

15 JUDGE THOMPSON: I appreciate that, Mr. Lane,
16 and I will let you-all know if it becomes necessary to take
17 you up on that kind offer.

18 Anything further from anyone at this time?
19 Hearing nothing, the oral argument will be adjourned. Thank
20 you very much. Have a nice and safe holiday weekend.

21 (THE ORAL ARGUMENT WAS CONCLUDED.)

22

23

24

25