

1 I do not know.

2 Q. And my understanding is that as of the Staff
3 filing, the Staff believes that the excess earnings are in
4 excess of \$200 million a year.

5 Given that level of excess earnings, would it
6 be fair to say that the Staff believes that there were
7 excess earnings leading up to the time that the complaint
8 was filed, at least for some period of time?

9 A. Most likely for some period of time.

10 Q. But you can't say whether it's for the whole
11 period of the EARP or one year or three years?

12 A. No, I could not make that assumption.

13 Q. Okay. And is the opinion that there were
14 overearnings leading up to the time the complaint was
15 filed, is that a position that other members of the Staff
16 have communicated to you at all?

17 A. It was a determination made by the work of
18 several Staff members, yes.

19 Q. Okay. But not just on a going-forward basis;
20 also -- I understand by virtue of the complaint being
21 filed the Staff is saying as of that very moment AmerenUE
22 is in an excess earnings position.

23 But I guess my question is: Is it the opinion
24 of other Staff members that there has been an historic
25 overearnings leading up to the time that the complaint was

1 filed, to your knowledge?

2 A. I don't know that I've ever heard any of them
3 express that opinion.

4 Q. Okay. Let me ask you this: Would you agree
5 with me that it is not appropriate for the Commission to
6 consider past excess earnings or past earnings
7 deficiencies in deciding the outcome of this case?

8 A. I believe that it's appropriate for the
9 Commission to review what is filed in this case. And if
10 that is test year data information, that that is what they
11 should base their decision on. That is a historical but
12 it's not a long history.

13 Q. Okay. Other than to the extent it uses an
14 historic test year in the ratemaking process, should the
15 Commission consider past excess earnings or past
16 underearnings in setting rates for the future?

17 A. I don't know.

18 Q. Okay. Fair enough.

19 Turning more specifically to your testimony,
20 it's my understanding generally that the Staff normalizes
21 for weather based on 30 years of historic data.

22 Is that correct?

23 A. That is correct.

24 Q. Why do you make a weather normalization
25 adjustment?

1 A. An adjustment is made due to be abnormal
2 weather. If the weather was extreme -- extremely cold or
3 hot, the revenues would be based off, perhaps, once in a
4 10-year, 20-year type of weather.

5 And, of course, usage is extremely dependent
6 upon fluctuations in weather, and any extreme weather
7 results in extreme usage.

8 And to set revenues on that amount would result
9 in possibly an overestimation of base revenues or an
10 underestimation of base revenues.

11 Q. Let me ask you: Why does weather affect usage
12 so much?

13 Maybe it's an over-simple question.

14 A. Saturation of air conditioning in UE's
15 territory I believe is at about 96 percent. So almost all
16 of their customers have some type of air conditioning,
17 which is directly dependent upon the weather on any given
18 day.

19 At the same time, not nearly as large a
20 percentage of their customers have electric heat, but that
21 and the fan usage on any other type of heating is directly
22 correspondent to the weather that occurs.

23 There is also end uses that are affected by
24 fluctuations in weather, but those are the major two.

25 Q. And when you say the fan, where there are other

1 types of heating fuels, would that be like if you have gas
2 heat, there are blower motors that are run on electricity
3 that circulate the hot air?

4 Is that what you're talking about?

5 A. That is correct.

6 Q. Okay. So would it be fair to say that as the
7 outside -- you know, generally as the outside air
8 temperature gets hotter than, say, room temperature, the
9 hotter it gets, the more the air conditioners turn on and
10 the greater the electric use?

11 A. Yes.

12 Q. And to a lesser extent, the colder it gets from
13 room temperature, the more people turn on their heaters
14 and then the more use there is?

15 A. That would be correct.

16 Q. Okay. So a usage curve, if you plot usage
17 against temperature, I guess it's sort of a V?

18 It goes down until you hit about 65 degrees and
19 then the usage starts back up again as people turn on
20 their air conditioners?

21 A. It goes -- it does go down.

22 Where it hits the base usage is dependent upon
23 the customer type. Because you've also got commercial and
24 industrial customers that use air conditioning.

25 And then typically there is a band where you

1 don't -- a base usage, and then the weather -- or the
2 usage increases as temperature gets hotter and saturates
3 at very high temperatures.

4 Q. And on a seasonal basis, does the Company
5 seasonal sales reflect that principle as well?

6 In other words, are the sales highest in the
7 summer months?

8 A. Yes, they are.

9 Q. And then maybe lowest in the shoulder months,
10 where the temperature is more in the 60s.

11 Is that true?

12 A. Yes, that's true.

13 Q. And then higher, but not as high as in the
14 summer, in the winter?

15 A. That is typical, yes.

16 Q. Okay. And would it be fair to say that when
17 you weather normalize, again, is the goal to try to set
18 weather normalized sales at a level that can be expected
19 to recur in the future when the rates that are being set
20 will be in effect?

21 A. That is true for both weather normalization of
22 sales and net system input.

23 Q. Okay. And what is net system input?

24 A. Net system input is the hourly loads that are
25 input into the fuel run or the production cost model that

1 Mr. Bender makes.

2 Q. Okay. Let me ask you this: Should the same
3 principles that you apply in weather normalization apply
4 to other costs that are included in rates?

5 And I guess what I mean is, to the extent that
6 the costs experienced during the test year are unusually
7 high or low, should adjustments be made to reflect a more
8 normal level of those costs?

9 A. Yes, it should.

10 Q. And should those adjustments be designed to
11 reflect costs that are likely to be experienced in the
12 future by the company during the period when the rates
13 which are being set are in effect?

14 A. It should -- they should be normalized to
15 reflect costs that would normally incur.

16 Q. And is the reason that you do that because you
17 want to reflect the costs to the best of your ability that
18 you think will be incurred by the company in the future
19 during the period when the rates are in effect?

20 A. That's my understanding, yes.

21 Q. Okay. How come Staff uses 30 years of weather
22 data as opposed to some other period?

23 A. It is my understanding that that is -- we use
24 the 30 years because that is what NOAA uses in the
25 calculation of their 30 years -- or their normal. I'm

1 sorry.

2 Q. How long has Staff been using 30 years of
3 weather data to normalize sales of utilities?

4 A. To the best of my remembrance, it would be the
5 mid '90s.

6 Q. Have you ever looked at using other periods of
7 time to weather normalize?

8 A. Prior to a decision that was made in the mid
9 '90s, we did use all of the weather that was available.

10 Q. And that would be, like, how much -- how many
11 years worth of data?

12 A. For AmerenUE?

13 Q. Yes.

14 A. I would say greater than 50 years.

15 Q. Is it however long they've been taking the
16 temperature at Lambert Field?

17 A. Yes, I believe that's correct.

18 I believe that's what we used.

19 Q. And what happened -- you say a decision was
20 made in the mid '90s.

21 Is that right?

22 A. Yes.

23 Q. Could you explain that? Who made the decision?
24 What was the decision?

25 A. I believe the estimation was made by Mike

1 Proctor and Dennis Patterson of the Commission Staff based
2 on information that was discovered of how changes in the
3 recording device, where the recording devices were placed,
4 affected the measurement of weather of temperature
5 specifically, that moving a thermometer could result in a
6 reading that was inconsistent with the past.

7 If you move a thermometer closer to a runway or
8 a heat sink, such as concrete and buildings, it will take
9 a different temperature than it did when it was out in the
10 field far away from the runway.

11 And there needs to be consistency between the
12 way the current weather is read and the history that is
13 used to produce normals.

14 And NOAA does that for the 30-year period over
15 which it calculates normals.

16 Q. And actually moving the thermometer around, has
17 that actually been an issue at Lambert?

18 A. Yes, it has.

19 Q. Okay. And who is Dennis Patterson? What was
20 his job at the time that the decision was made?

21 A. He was an Economist on the Commission Staff.
22 At the time the decision was made he was probably in the
23 Economic Analysis Department of the Commission.

24 Q. And what position did Mike Proctor hold at that
25 time?

1 A. I believe he was Manager of the Economic
2 Analysis Department.

3 Q. And was he then Dennis Patterson's and your
4 boss at that time?

5 A. Yes, I believe he was.

6 Q. Okay. And once the decision was made to use
7 30 years, did you no longer consider using other periods
8 of time?

9 Was that kind of taken off the table by that
10 decision?

11 A. Yes, it was taken off the table.

12 Q. Have you looked at any other jurisdictions to
13 see what periods of time they used for weather
14 normalization?

15 A. What do you mean by "jurisdictions"?

16 Q. Well, like, do you know what Illinois uses, the
17 Illinois Commerce Commission uses --

18 A. No.

19 Q. -- in normalizing?

20 A. No, I do not.

21 Q. Okay. Do you know what Kansas uses to
22 normalize weather?

23 A. No, I do not.

24 Q. Arkansas?

25 A. No, I do not.

1 Q. Any other State or Federal jurisdiction?

2 A. No, I do not.

3 Q. Okay. I mean, would it be fair to say that you
4 haven't looked because the decision has been made that
5 Missouri is going to use 30 years?

6 A. Because we believe it's the proper decision,
7 yes.

8 Q. Okay. In your direct testimony, if you have
9 it, on page 2, about line 14, you say that you worked
10 closely with UE in the development of its weather
11 normalization methods and inputs, and Staff has
12 subsequently used the same method in three rate cases.

13 Do you see that?

14 A. Yes, I do.

15 Q. What three rate cases are you referring to?

16 A. I know one was a Utilicorp rate case. I
17 believe we also used it in a St. Joseph Light & Power rate
18 case. I'm not familiar with those case numbers.

19 Q. Okay.

20 A. And I don't remember what the third one was,
21 but I could look that up for you.

22 Q. Okay. But those were -- and Utilicorp -- those
23 were electric cases.

24 Is that true?

25 A. This is a method that could only be used in

1 electric cases, yes.

2 Q. The only reason I ask is that Utilicorp and
3 maybe St. Joseph have gas service as well.

4 Okay. Can you explain how you worked closely
5 with UE in the development of these methods?

6 A. When we developed our method in the late '80s,
7 early '90s, we worked very closely with Roberta
8 Grannemann, who was an employee of AmerenUE, or UE as it
9 was known at that time.

10 I held workshops that described our method,
11 which they were very interested in. There was problems
12 with our method in the time it took to get load research
13 developed, which isn't a problem in the rate case but on
14 an ongoing every-month basis it is.

15 They contracted with a consultant, ICF, to
16 develop a model that would do a very similar analysis.
17 And Roberta and I talked often during the development of
18 this, and she consulted with us on that development.

19 And we have since spent time with the
20 consultant and the developer of that software and have --
21 I have a good understanding of how that model weather
22 normalizes sales.

23 Q. The model that UE uses?

24 A. Yes.

25 Q. And I guess -- let me back up for a second.

1 You said when you -- in the late '80s or early
2 '90s when you developed your method. And, I guess, is
3 that the rank and average method that you're referring to?

4 A. That would be the development of normal
5 weather. What I was referring to was the method used to
6 weather normalize net system loads and sales --

7 Q. Okay.

8 A. -- of which normal weather is an input.

9 Q. It's part of it but there is more to it than
10 that?

11 A. Yes. But it was all developed at the same
12 time.

13 Q. And who participated in developing that?

14 A. At the Staff method?

15 Q. Who participated in developing the Staff
16 method?

17 A. At the time it was the entire Staff of the
18 Research and Planning Department, of which I was a member.

19 Dr. Proctor and Dr. Martin Turner were also
20 part of the development of the method.

21 And it was an iterative process, where we tried
22 many different types of analysis, to find what we felt
23 would best weather normalize hourly loads.

24 Q. And did representatives of utilities
25 participate on that committee that developed that

1 methodology, or was it primarily Staff people?

2 A. The development was primarily of Staff people.
3 It was developed during the rate design case for Union
4 Electric. We kept them apprised at various points in the
5 analysis, asked for their opinions.

6 So to the extent that we could involve the
7 utilities we did, but we did most of the analysis work
8 ourselves.

9 Q. And would it be fair to say that the decision
10 of what method was ultimately adopted was the Staff's
11 decision as opposed to a joint decision between the Staff
12 and utilities?

13 A. Yes.

14 Q. And would it be fair -- to the extent you
15 interacted with the utilities, I guess you sought their
16 opinions on occasion on aspects of the program.

17 Is that right?

18 A. I would say mostly with Ameren -- with Union
19 Electric is who we sought the most opinions from. They
20 were most concerned at that point in time because of the
21 rate design case.

22 Q. And that was Roberta Grannemann you were
23 talking to?

24 A. I believe Rick may have been involved in some
25 of that discussions. It wasn't just Roberta. It was

1 other members.

2 Q. Rick Voytas you're talking about?

3 A. Yes. I'm sorry.

4 Q. That's okay.

5 And did you also get data from Union Electric
6 Company at least, and maybe other utilities, in the course
7 of your work in developing this process?

8 A. The initial development would have been UE
9 data. After that -- subsequent to that we've used the
10 method and, of course, refined it when we found errors.
11 Through the years we've used them on all of the electric
12 utilities in the state of Missouri.

13 Q. And then after you developed your method -- I'm
14 sorry to break this down.

15 But after you developed that method, then Union
16 Electric hired a consultant, is that correct, to implement
17 it?

18 A. My recollection is, is that UE wanted to
19 weather normalize it on an ongoing monthly basis, and
20 wanted a similar method, but because load research could
21 not be kept -- could not be developed on as quick a basis
22 as what would be needed to use our method, they needed a
23 different method but similar to weather normalize their
24 sales. That is my understanding of why they contracted
25 with ICF.

1 Q. And who is the contractor? I'm sorry.

2 A. ICF. And I'm not for sure what that stands
3 for.

4 Q. Okay. And do you know the name of the model
5 they developed for Ameren?

6 A. It's the Hourly Electric Load Model, commonly
7 referred to as HELM.

8 Q. And so your understanding is HELM is close to
9 the methodology that the Staff developed but not exactly
10 it?

11 A. That is correct.

12 Q. And the reason it's not exactly it is because
13 of data limitations?

14 A. That is correct.

15 Q. Okay. In other words, Union Electric was
16 trying to create a model as close to what the Staff had
17 developed as it could.

18 Is that fair to say?

19 A. That was my understanding at the time.

20 Q. And you directly worked with the consultant
21 that Union Electric had hired in reviewing their HELM
22 model and helping them work on it?

23 A. I did not directly work with him, but I was
24 involved in review. And they kept us abreast of what the
25 changes -- or the development of the HELM model and the

1 weather normalization module.

2 Q. And could the Staff suggest changes to that
3 model that would then be implemented by the consultant?

4 A. Yes, I believe so.

5 Q. And did that actually happen?

6 A. I can't remember.

7 Q. Do you know what the differences are between
8 the HELM model and the Staff's model?

9 A. Yes, I do.

10 Q. What are they?

11 A. The inputs to the model are the same as the
12 Staff method. The inputs would be weather, load research,
13 hourly data and sales data.

14 The Staff method requires load research for the
15 time period that we are weather normalizing. HELM uses
16 past load research data, not necessarily up -- not
17 necessarily over the same time period but up to date.
18 That's the major differences between --

19 Q. Okay.

20 A. -- HELM and the Staff method.

21 Q. Okay. Let me ask you this: Has Union Electric
22 filed any testimony in this case yet concerning its view
23 of the appropriate weather normalization adjustment?

24 A. Not to my knowledge.

25 Q. So as far as you know right now -- well, Union

1 Electric might -- well, you don't know what kind of a
2 normalization adjustment they might file.

3 Is that fair to say?

4 A. That is fair to say.

5 Q. I mean, they might agree with what you've done.
6 That's possible, I guess. Is that correct?

7 A. Yeah, I would assume that's possible.

8 Q. They might file the HELM model, which I guess
9 is slightly different from what you've done.

10 Is that correct?

11 A. Actually, here is one of the complications of
12 my analysis.

13 I did use their results that they calculated
14 from HELM for weather normalization of sales. I used our
15 method for weather normalization of net system input.

16 So I have used the method -- or accepted what
17 UE calculated as weather normalized sales for the year
18 ending June 30th, 2000 as supplied to me in a data
19 request.

20 Q. So that creates an inconsistency, doesn't it,
21 between the two uses of weather normalized data?

22 A. HELM is not -- was not developed to weather
23 normalize net system input. When we use HELM to weather
24 normalize sales, we use average daily loads.

25 To weather normalize net system input we need

1 to weather normalize both the daily peaks and the daily
2 averages.

3 HELM is not set up to do that analysis. It is
4 set up to do the analysis of sales but not system -- net
5 system input. Not in a manner that Staff believes is
6 correct.

7 Q. Well, so then you're using one set of
8 numbers -- I guess the HELM model set of numbers for Jan
9 Pyatte's calculation of revenues and you're using another
10 set of numbers for Mr. Bender's calculations, which, I
11 guess, are used for costing, you know, production --
12 determining production costs.

13 Is that fair to say?

14 A. No, it is not fair to say.

15 Q. Okay. Explain why it's not fair to say that,
16 because I don't understand it.

17 A. I weather normalize the net system input, but
18 it's important that the sales under that hourly load curve
19 be consistent with the sales used to calculate revenues,
20 which is exactly what you were talking about.

21 And so after all adjustments are made to sales
22 from which revenues are calculated, I reconcile the load
23 under the net system input to be consistent with the sales
24 from which revenues were calculated.

25 Q. But hasn't Mr. Bender already used the other

1 information in running his model?

2 A. For the final -- for the run that is -- numbers
3 that are in his testimony, he uses the net system input
4 that has been reconciled to the sales used to calculate
5 revenues.

6 Q. Well, what's the difference -- well, I guess I
7 don't understand.

8 What's the difference between that and just
9 using the HELM model numbers to begin with?

10 A. It's important in a production cost model to
11 have hourly normalized usage. So we need to come up with
12 an hourly curve under which to put the sales that are
13 output from him.

14 There are other adjustments also done to those
15 sales for revenues.

16 So the normalization of net system load gives
17 us an hourly curve under which to put these sales once
18 losses are added to those sales under that curve.

19 Q. But still, I mean, isn't he using different
20 numbers in his analysis than are used in Ms. Pyatte's
21 analysis?

22 Maybe you're saying it's because of the
23 inherent difference in what they do. But aren't they
24 using different numbers?

25 A. If you subtracted the losses from the sum of

1 Mr. Bender's -- the loads that go into Mr. Bender's model,
2 if you subtract the losses from that as supplied by Staff
3 Witness Allen Bax, the sales -- the annual sales that went
4 into that curve are equal to the sales from which revenues
5 were calculated.

6 Q. On an annual basis?

7 A. On an annual basis.

8 Q. But what about on a month-to-month or hour-to-
9 hour basis, are they the same?

10 A. We don't have sales on an hour-to-hour basis.
11 We do not have sales on a month-to-month basis. We have
12 estimates from load research of class usage, but we do not
13 have sales as metered by anything other than a billing
14 month, which will not fit in a calendar month in a year.

15 Q. Okay. Let me ask you this: You are saying
16 that you're -- on page 2 of your testimony, line 19, it
17 says, I recommend that the Commission adopt the weather
18 and unbilled adjustment as supplied by Ameren.

19 How did you get that information from Ameren?

20 A. I believe that it was requested in a data
21 request. I don't know the number of that.

22 Q. Okay. Now, my understanding is -- and let me
23 apologize in advance for my ignorance, but my
24 understanding is you got some hourly information -- you
25 know, hourly -- kilowatt hour usage information from

1 Ameren and you made some adjustments to it?

2 A. If you're referring to the net system input
3 normalization that I did, yes. I've got hourly, gross
4 hourly inputs.

5 Q. Okay. Start me from the beginning.

6 Is that what Union Electric gave to you is
7 hourly gross, I guess, kilowatt hours of usage? Is that
8 the right way to say it?

9 A. We have Commission rule, 4 CSR 240-20.080,
10 which requires the utilities to send us on a monthly basis
11 information. And one piece of that information is
12 supposed to be net system load. After I started using it,
13 I found out that it was actually gross load.

14 Q. Okay. So what is it exactly that Union
15 Electric gave to you? Is it every hour of the --

16 A. Every hour of the year for --

17 Q. For the test year you're looking at?

18 A. We get it on a monthly basis. So we have it
19 back through the -- whenever this rule went into effect.

20 Q. Okay.

21 A. It looks like since 1991 we have it on an
22 hourly basis. We get it every month.

23 Q. Okay. And what is it? What is it that they're
24 giving you for each hour?

25 A. One of the pieces of information that they're

1 giving us is the gross load on each hour combined for an
2 AmerenUE control area.

3 Q. Okay. And what's a control area?

4 A. I don't have a good definition that I can give
5 you. I do know that it includes the wholesale customers
6 that Ameren -- or UE used to provide service to. It's the
7 area in Missouri that they provide energy to. It's a very
8 general gross definition.

9 Q. I mean, you're talking about a geographic area?

10 A. Yes.

11 Q. Okay. And so let me back up then.

12 Each hour of -- well, each hour during the
13 period -- for all of the period of time that they've been
14 giving you this, they give you a number for AmerenUE.

15 And what does that number represent?

16 A. It represents the load from that control area
17 that UE was required to meet, plus station use.

18 Q. Plus station use?

19 A. (Nods head.)

20 Q. Okay.

21 And does it include transportation customers,
22 as well as sales customers in the control area?

23 A. What is your definition of a "transportation
24 customer"?

25 Q. A customer that's -- I guess that UE would

1 meter but it would not provide the electricity to.

2 A. I'm not sure.

3 Q. Okay. So you've got one set of data for Union
4 Electric Company?

5 A. That's correct.

6 Q. It's that data for each hour.

7 And then did you also have a set of similar
8 data for Ameren Corporation as a whole?

9 A. For -- yes, for Ameren Corporation and for the
10 CIPS area also.

11 Q. Okay. Now, with regard to the CIPS
12 information, did you get that information from Union
13 Electric or did you calculate that based on the Ameren and
14 the UE information that you were given?

15 A. The information was -- is included in the
16 reports we get.

17 I did check, and UE plus CIPS does equal
18 Ameren.

19 Q. Okay. But you didn't independently calculate
20 the --

21 A. CIPS loads?

22 Q. -- CIPS loads?

23 A. No, I did not.

24 Q. Okay. Well, could you run me through what you
25 did once you got this raw data from UE?

1 What did you do to it?

2 A. Well, I set about weather normalizing it using
3 our method.

4 Q. Let me back you up a second.

5 Did you have to take the gross -- did you first
6 have to come up with -- take the gross loads down to net
7 loads, or did that come after you weather normalized?

8 A. I didn't find out that they were gross. I
9 assumed they were supplied as required in the rule as net.

10 And after I did the weather normalization, the
11 net system load, I made some comparisons to other data
12 that we had and found inconsistencies.

13 At that time I talked with Mr. Tim Finnell at
14 Ameren and discovered that indeed it was gross input, not
15 net.

16 Q. So what did you do?

17 A. I had other adjustments that I needed to make.

18 I also found out in trying to check for
19 reasonableness, checking my answers, that these loads had
20 past customers of UE in the hourly loads.

21 And these were wholesale customers that UE had
22 contracts with prior, and the contracts had substantively
23 been switched to Ameren Energy Marketing, I believe.

24 And so I had to take those loads, plus their
25 losses.

1 I was supplied hourly loads by Pam Roth (sic)
2 at Union Electric. I was supplied hourly loads by her of
3 those customers.

4 At that time I weather normalized them, added a
5 loss factor and subtracted them out.

6 I believe I did station use -- I'm not for sure
7 at what point in time I did station use. This was earlier
8 this year. But I do know that I subtracted out station
9 use.

10 The only numbers that I had for station use
11 were on -- or I didn't have hourly station use. I had
12 monthly.

13 So I allocated that station use back to the
14 hours based on the use of net hours and subtracted station
15 use out to get net input.

16 That's for the UE loads. That is the analysis
17 I did.

18 Q. Okay.

19 A. And then after that I reconciled it to the
20 sales number that was given to me by Janice Pyatte.

21 Q. Okay. Let me back up a little bit just to make
22 sure I understand.

23 You were given hourly data for UE -- first of
24 all, the period of time that you're looking at here is
25 your test year ended June of 2000, June 30th of 2000.

1 Is that true? Is that the period of time
2 you're trying to normalize the hourly data?

3 A. Actually, for the net system input, at this
4 time we knew that we were going to be updating through
5 December of 2000.

6 So I used data that included -- the data that I
7 used was from October 1999 through March 31st, but the
8 time period that I was using that was to get information
9 for calendar year 2000, December ending 2000.

10 Q. Okay. Run that by me again.

11 What's the beginning and ending date of the
12 period of time that you looked at this hourly data and
13 normalized it?

14 A. I used data from October '99 through
15 March 31st, 2001.

16 Q. Okay.

17 A. Because our method, you can have some unusual
18 results at the beginning and ending of the time period
19 that you're analyzing.

20 So I wanted the 12 months in the middle of that
21 18 months, because that gets rid of the unusual results
22 that we get.

23 So if we use the 12 months in the middle, we've
24 got stable numbers. And that 12 months was the calendar
25 year ending December 2000.

1 So that's the period that I was working to get
2 numbers for.

3 Q. Well, why were you working to get numbers for
4 calendar year 2000 when the test year -- the Staff's test
5 year is 12 months ending June 30th, 2000?

6 A. This analysis was done after the other, and we
7 knew that we were updating through December of 2000.

8 With weather normalized sales -- or with
9 weather normalization -- the normal weather for 1999 is
10 the same as the normal weather for 2000, which is the same
11 as the normal weather for 2001.

12 So, therefore, a year that's been normalized
13 for weather -- now, the weather that goes into it is
14 normal -- is the same no matter what 12-month period you
15 take.

16 Q. Okay. Again, just so I understand this, was it
17 Mr. Bender's production costing model that was going to be
18 updated to calendar -- calendar year 2000?

19 Is that true?

20 A. That is my recollection of what he ran his
21 model over was calendar year.

22 Q. And that's why you needed to have that calendar
23 year data. Right?

24 A. I don't remember exactly what triggered my
25 using the calendar year. It could have been my calendar

1 year triggered him using his. I don't remember which.

2 Q. But --

3 A. But at that time the decision had been made
4 that Staff was going to update through December 2000.

5 Q. For the production costing model, not for
6 everything else. Right?

7 A. Well, we updated sales for growth also through
8 December 2000.

9 Q. Okay. And even though -- well, I guess they
10 were updated for growth through December of 2000.

11 But even though other aspects of sales were
12 based on 12 months ended June 30th, your idea is, it
13 doesn't matter whether the weather -- what 12 months you
14 calculated weather adjustment; the weather adjustment is
15 going to be the same -- the weather adjusted sales are
16 going to be the same no matter what period of time you use
17 to calculate them?

18 A. The usage given normal weather is the same
19 regardless -- over that -- over the short term, yes, they
20 are the same.

21 Q. Okay.

22 A. Over the long term they are likely to be
23 different, but six months --

24 Q. And why is that over the long term that they're
25 likely to be different? Because of growth?

1 A. More likely because people may respond
2 differently to weather over the long term than they do
3 now.

4 Q. There could be technological advances in
5 air conditioners and heaters and things like that?

6 A. Things that we can't even conceive of.

7 Q. But that's a very long-term proposition, is it
8 not?

9 A. It may be as short as ten years. It may be --

10 Q. 100?

11 A. Yeah.

12 Q. Okay. I think I understand.

13 Okay. You took this data. And the hourly data
14 was Union Electric hourly data, Ameren overall hourly data
15 and CIPS hourly data that you got from the Company?

16 A. I did not use CIPS data. I used Ameren and
17 UE's and backed the results out for CIPS --

18 Q. Okay.

19 A. -- of my analysis.

20 I had the CIPS data, but I did not use it in my
21 analysis.

22 Q. Well, why didn't you use the CIPS data if you
23 had it?

24 A. It was a question of to weather normalize CIPS
25 and UE and add it together to do Ameren or to weather

1 normalize Ameren and UE and back out CIPS.

2 Q. In your mind it was six of one and half a dozen
3 of the other?

4 A. That is correct.

5 Q. Okay. So tell me how you did that then.

6 Is the first thing you did when you got the
7 data -- well, what's the first thing you did when you got
8 the data?

9 You took Ameren and Union Electric data -- my
10 understanding is you assumed it had been -- it was net
11 data when it, in fact, wasn't. Okay?

12 But what did you do with it?

13 A. The very first thing I did with it was check
14 the data for reasonableness, to check to see -- even
15 though we've got a prescribed definition of what is to be
16 submitted, we don't always get that. So I checked the
17 data for any abnormalities.

18 That's when I discovered ADM, when it came onto
19 the system for Ameren. And so I checked those loads to
20 make sure that they were usable loads.

21 Q. And how did you check them for reasonableness?
22 What did you do exactly?

23 A. I plot the daily ages and daily peak loads
24 against a weather measure. It was two-day weighted mean
25 temperatures.

1 Typically that will show any abnormal data that
2 is in the data.

3 Q. Okay. So the usage -- they're ought to be some
4 relationship between those two-day average temperatures
5 and the usage?

6 A. That is correct.

7 And an abnormality will show as points above or
8 below the curve. The rest of the data -- or a pattern
9 shift in the data, that will show up.

10 Q. And the reason you use two-day is because if
11 it's real hot one day, then -- there is more air
12 conditioning use if you have two hot days in a row than if
13 you only have one hot day in a row? Is that --

14 A. That is correct. Yesterday's weather
15 influences our usage today.

16 Q. Okay. So you checked -- made these
17 reasonableness checks and you determined that ADM -- which
18 I guess is Archer-Daniels-Midland, an industrial customer?

19 A. Yes.

20 Q. There was a problem with them being included in
21 the usage information?

22 A. I wouldn't call it a problem. It just was
23 something that occurred that we needed to account for.

24 Q. And what occurred was they used to be a
25 customer of Union Electric Company but sometime during --

1 at some point during the period you were looking at it
2 they became a customer of Ameren Energy Marketing Company.

3 Is that right?

4 A. No. They are customers -- and I'm not sure
5 what town in Illinois -- they became customers of AEM due
6 to Illinois restructuring.

7 Q. So you had to take those loads out of your
8 hourly usage numbers?

9 A. I took them out to weather normalize. I had to
10 put them back in because that is a normally occurring
11 event.

12 Q. Okay.

13 A. That was an adjustment that I made.

14 Q. Okay. So you made that adjustment?

15 A. Actually, that happened at the end. The
16 adjustment for that happened at the end.

17 I took Ameren without ADM -- I know it's
18 confusing -- weather normalized it. I believe I did some
19 adjustments for Soyland contract and other miscellaneous
20 type of adjustments to the Ameren load just like I did for
21 the UE.

22 I added the UE wholesale -- the former UE
23 wholesale customers to Ameren because that is who is
24 serving them now, and the objective was to get weather
25 normalized Ameren hourly loads and weather normalized

1 UE loads.

2 Q. But you're kind of skipping ahead on me.

3 I'm trying to go through just step by step what
4 you did.

5 And this is before you did your whether --
6 chronologically, was it before you did your weather
7 normalization or after?

8 A. I took ADM out before I did weather
9 normalization of Ameren loads.

10 Q. What else did you do before you did weather
11 normalization, if you remember?

12 Did you adjust for station usage?

13 Well, at that point you thought it was net
14 load, so you wouldn't have done it.

15 Is that right?

16 A. That's correct. Station usage was I believe
17 the last thing that I adjusted for.

18 Q. Okay. Is there anything else you adjusted for
19 before you did the weather normalization?

20 A. I believe that's it.

21 Q. Okay.

22 A. It was for taking ADM out of the Ameren loads.
23 And I weather normalized those.

24 Q. And ADM, my understanding is, that's an
25 Illinois customer. Is that right?

1 A. But it is an Ameren customer also.

2 Q. Okay. So you wouldn't have had to make the
3 adjustment to UE's loads, just overall Ameren?

4 A. That's correct.

5 Q. Okay.

6 Then the next thing you did was do the weather
7 normalization?

8 A. Yes. I came up with weather normalized hourly
9 loads. I added the --

10 Q. Well, stop, stop, stop.

11 How did you do that? Walk me through it.

12 A. I used Staff's method to weather normalize
13 Ameren hourly loads.

14 Q. Okay. And what is the Staff's method?

15 A. The Staff method is a least-cost regression
16 model that -- with an intercept of zero that allows for
17 base usage to fluctuate across the year at the same time
18 that it's accounting for weather usage, a weather response
19 pattern.

20 Using the results of that regression and the
21 normal weather calculated outside of this, when that is
22 input, we get a weather normalized peak and average, of
23 which then we calculate hourly loads.

24 Q. And where does the rank in average methodology
25 fit in with this?

1 A. That is used outside of the weather
2 normalization process to calculate the normal weather that
3 is input into the results of our analysis, of our weather
4 normalization.

5 Q. Okay. So that's a component that gives you the
6 normal temperature to put into your weather normalization
7 adjustment?

8 A. That is correct.

9 MR. BYRNE: Okay. Would you like to take a
10 break?

11 THE WITNESS: That would be fine.

12 (A RECESS WAS TAKEN.)

13 BY MR. BYRNE:

14 Q. Okay. Let me see if I understand where we are
15 from before the break.

16 You got hourly load data for Union Electric and
17 Ameren, and then you took out Archer-Daniels-Midland from
18 the Ameren numbers. And you thought you had net hourly
19 load data but, actually, you had gross hourly load data.

20 Is that correct?

21 A. Yes.

22 Q. Okay. So then you did your weather adjustment?

23 A. Weather normalization, yes.

24 Q. Weather normalization. Okay.

25 And you did separate weather normalizations of

1 Ameren data and the Union Electric data?

2 A. I weather normalized both the daily peaks and
3 daily averages for AmerenUE, separate from Ameren total.

4 Q. Okay. And you hadn't yet made a calculation of
5 CIPS at that point?

6 A. No, I had not.

7 Q. Okay. And you didn't subtract anything yet for
8 other loads that might be served by AEM in the control
9 areas. First you weather normalized before you made that
10 adjustment.

11 Is that true?

12 A. I believe what I did was I talked with
13 Mr. Finnell about the Soyland contract, and we discussed
14 that. And I discussed it with Mr. Bender. And we did not
15 take those loads out but that contract was included in his
16 run. So, therefore, it was consistent with what I had.

17 Q. Okay. So the only adjustment you made before
18 you weather normalized was the Archer-Daniels-Midland?

19 A. That's correct.

20 Q. And then you did your weather normalization.

21 And a component of that is this rank and
22 average method that sets the normal temperature.

23 Is that correct?

24 A. That's one of the inputs, yes, is the rank and
25 normal -- the normal weather that's used to calculate the

1 normal weather that is an input.

2 Q. Okay. The rank -- let me say that again to
3 make sure it's right in the record.

4 The rank and the average method? Is that the
5 right name of the method?

6 A. That we used to calculate normal weather, yes.

7 Q. Okay. You use that to calculate normal
8 weather.

9 And then that normal weather is an input into
10 your weather normalization?

11 A. That is correct.

12 Q. Okay. Can you tell me how the rank and average
13 method works?

14 A. For each of the 30 years that is in the history
15 that we use, we rank the weather, hottest to coldest,
16 coldest to hottest. So for each -- one of each year we do
17 that.

18 Q. Each day is ranked within a year?

19 A. Yes. So there is 365. Leap year there is 366.

20 To get the -- to get the normals, what we do is
21 average across the ranks. So we take an average of all of
22 the hottest days in the year. That is a normal weather
23 value. We do that for the second hottest, third hottest
24 and so forth.

25 Q. So you take the hottest day in each of the

1 30 years and you average those -- I guess the cooling
2 degree days, or is it the actual temperature?

3 A. It is actually the weather measures that we
4 have developed in our normalization procedure. It's sort
5 of like a degree-day measure.

6 It's not cooling degree days as defined by
7 NOAA. It's calculated the same way. It's just 65 may not
8 be the base that is used.

9 Q. What is the base that is used?

10 A. I don't have that information with me.

11 It's determined by -- independently for average
12 and peak load for both Ameren and UE. So there is four
13 different sets of these. Because of the method we use
14 there may be several.

15 Q. Okay. So when NOAA calculates cooling-degree
16 days or heating-degree days, my understanding of that
17 is -- a cooling-degree day is the average temperature on a
18 certain day, minus 65 degrees.

19 And if it's above 65 degrees -- if the average
20 temperature on that day is above 65 degrees, you'd have
21 that many cooling-degree days. Is that correct?

22 A. That is correct.

23 Q. And then conversely, heating-degree days, as
24 NOAA calculates them, is if the temperature is below --
25 the average temperature on a day is below 65 degrees, it's

1 the difference between the average temperature on that day
2 and 65 degrees, that would give you the number of heating-
3 degree days on that day.

4 Is that correct?

5 A. That is correct.

6 Q. Okay. But you don't do that; you have a
7 different -- and the difference is, you might not use
8 65 degrees as the cutoff point or as the factor that's in
9 the calculation that determines how many heating-degree
10 days or cooling-degree days there are?

11 A. That is correct.

12 Q. And how do you determine what number you use in
13 that calculation?

14 A. We look at the daily data which we're using to
15 run our regression, and we best fit a curve to that data.
16 And using very statistical measures, we come up with what
17 we believe is the best fit for that data.

18 So the degree days for the heating may be
19 50. It may be 58. We also may have one at 45.

20 But it's fitting that regression line through
21 the model -- or through the data in our model that
22 determines what those points are.

23 Q. Okay. So would it be fair to say that you have
24 sort of a band of temperatures where there is neither
25 heating, nor cooling -- I guess degree days isn't the

1 right word, but maybe a band might stretch from, say,
2 58 degrees to 68 degrees or 70 degrees?

3 It's sort of an equivalent to the 65-degree
4 point used by NOAA?

5 A. That is correct.

6 I would not say, however, that there is no
7 heating or cooling. It's just averaging each other out.
8 One customer may be heating and another may be cooling.

9 Residential customers you can think, yes, you
10 turn it off for a certain amount of time. Commercial and
11 industrial customers are likely to go from heating to
12 cooling.

13 So that it's not that there is no heating or
14 cooling; it's just both of them are going on most likely.

15 Q. It would be fair to say that in that band there
16 is no net effect of either heating or cooling in the
17 Staff's view?

18 A. Yes.

19 Q. Okay. And so then after you -- under the rank
20 and average method, after you average all of the hottest
21 days in the 30-year period and then you average the second
22 hottest day and average the third hottest day, until you
23 average all of the days, then what do you do with those
24 averages?

25 A. At the same time that we're ranking those days,

1 we're keeping track of what month the hottest day
2 typically occurs in and what month the second hottest day
3 typically occurs in.

4 So this is part of matching these 365 normals
5 back to a year.

6 Q. Okay.

7 A. So we know which month those normals
8 typically -- those ranks typically fall in.

9 We take that and the weather in the year that
10 we are normalizing. And we know that rank one, five,
11 seven and so forth goes in January, for example. So we
12 pull those out.

13 And which day it goes in January is based on
14 the temperatures that actually occurred in that month.

15 So you've got the days that typically occur --
16 or the normals that typically occur in January. You'll
17 have 31 of those. Now, how to get the 31 of those back to
18 the days is the problem. And to do that we use the actual
19 weather that occurred.

20 We will not put the coldest day or the hottest
21 day on a weekend, but that's the only restriction at that
22 point.

23 Q. Okay. So you'd pick out -- you have these
24 365 averages that you develop from your 30 years of data.
25 And then out of that -- let's just pick January.

1 You'll say somehow you decide 31 of those
2 days -- maybe it's the coldest and third coldest and fifth
3 coldest, however it is that, somehow you determine that
4 31 of those averages apply to January?

5 A. That's correct.

6 Q. Okay. And how do you do that? I mean, how do
7 you know which 31 apply to January?

8 A. Because we've been keeping track of it through
9 the years, the 30 years, what month does that typically
10 fall in.

11 Q. Okay. So then you have those 31 days, and
12 you've got to assign them to the 31 days of actual
13 temperature that were experienced in January that you're
14 looking at.

15 Is that right?

16 A. That's correct.

17 Q. Okay. And the way you do that is, the first
18 rule is, neither the hottest, nor coldest of those 31 days
19 can fall on a weekend.

20 Is that true?

21 A. That is correct.

22 Q. Do you count holidays and weekends?

23 A. Yeah. It would be holidays and week-- well --

24 Q. New Year's Day?

25 A. I believe the computer program itself only can

1 identify weekends.

2 I do go back later and check that. If the peak
3 occurred on January 1st, I go back and see why. And if it
4 has put the coldest weather on January 1st, I will move it
5 off.

6 Q. Why --

7 A. Go ahead.

8 Q. Why do you not allow the coldest or warmest day
9 to fall on a weekend or holiday?

10 A. That is important in the production cost runs.

11 We want the hottest day to occur during the
12 weekday. That's when the loads will be the highest.
13 Typically loads are lower on weekends.

14 And we want an estimate of what the
15 production -- the fuel costs would have been with that on
16 a weekday instead of a weekend.

17 Q. So the production cost model is looking for a
18 peak day's load.

19 Is that true?

20 And in order to get a true peak day, it's got
21 to be on a weekday.

22 Is that fair to say?

23 A. I don't know that the production cost model is
24 looking for that. That is just one of the criteria that
25 was set up when we developed the allocation of weather to

1 the days.

2 Q. Okay. But it doesn't matter so much to Jan
3 Pyatte's use of your data whether it falls on a weekend;
4 it's more to accommodate the production costs model?

5 A. That's correct.

6 Q. Okay. Then that's the first rule, but then how
7 do you assign each of the 31?

8 Do you rank the days of actual temperature?

9 A. That is correct. We go back to the actual days
10 in that year -- or that month. Because we're talking
11 about, just say, January right now.

12 And the most extreme weather measure, normal,
13 will go to the day that had the most extreme weather.

14 Q. Unless it's a weekend or holiday?

15 A. Unless it's a weekend.

16 And if it's a weekend, then it goes to whatever
17 the coldest weekday was.

18 Q. And then does the weekend -- does the second
19 coldest one go in the weekend then?

20 A. Yes. After the first one you can go on the
21 weekend.

22 Q. Okay.

23 And then that's the normal temperature for each
24 of those days once that assignment is made?

25 A. That is correct.

1 Q. Do you have your testimony there?

2 A. Uh-huh.

3 Q. On page 8 -- and I'm looking at line 13. You
4 can read it a little bit in the context. But you're
5 talking about -- you're explaining how the rank and
6 average method works.

7 And the last sentence in that answer says this,
8 and I think this is the rank and average method.

9 Minimizes the weather normalization occurring
10 on each day.

11 Why does -- why does -- I guess how does it
12 minimize the weather normalization occurring on each day?

13 A. Because we've assigned based on the ranks for
14 that month. The difference between normal and actual
15 would be minimized for each day.

16 If you put the most extreme normal -- say for
17 January, on the hottest day instead, you would get a lot
18 of weather adjustment on that day.

19 If you put it on the day with the coldest
20 temperature, you would get a lot less weather
21 normalization on that day.

22 Q. Okay. Let me try to understand how this works.

23 Let's say you had a January, since we're
24 talking about January -- and I probably ought to do this
25 with August since I worked for an electric company, but

1 since we've been talking about January.

2 Let's say you had a January that was colder
3 than normal. Okay?

4 And my understanding is that if January is
5 colder than normal, there will be more electricity used
6 than normal.

7 Is that right?

8 A. That is correct.

9 Q. And if you showed electric usage on a graph,
10 the actual usage for each day on a graph, it would be
11 higher than average usage on that graph.

12 Is that fair to say?

13 A. I've used the terminology "normal." It would
14 be higher than normal.

15 Q. How are you defining "normal" in this context?

16 A. It would be the temperature -- normal
17 temperature that is assigned to that day, the weather
18 response that corresponds to that normal temperature.

19 Q. And how would that be calculated?

20 I guess I'm talking about, like, an average.
21 Is that what you're talking about?

22 A. Um, no. I'll be talking about -- you've got
23 your regression results and you know what that normal
24 weather was for that day.

25 And instead of inserting the actual weather to

1 get what actually occurred, you insert the normal weather
2 variable. And if that normal weather variable is less
3 than the actual, then the normal usage for that day will
4 be less than the actual.

5 Q. I guess what -- and I'm not understanding
6 very well, but I guess what I'm trying to say is, it
7 minimizes -- when your testimony says it minimizes the
8 adjustment, compared to what?

9 What would not -- what kind of an adjustment
10 would not minimize -- what kind of an analysis would not
11 minimize the adjustment?

12 Minimize compared to what?

13 A. It minimizes it more than any other method of
14 calculating daily normals that I know of, including
15 NOAA's.

16 Because you assigned the extreme normals to the
17 actual days where extremes occurred in that actual test
18 year.

19 NOAA's normals are a very smooth function.
20 They don't care when the extreme -- I mean, they've got
21 their day -- when you listen to the weather forecast and
22 they tell you this is, you know, the extreme, they don't
23 care what -- you know, what the actual weather is for the
24 month.

25 We do.

1 We very specifically put the extremes on the
2 days when -- the extreme normals on the days when the
3 actual extremes occurred; therefore, reducing the amount
4 of adjustment that has to be made for weather.

5 NOAA doesn't care. They just put a normal on
6 that day.

7 Q. Well, what's the benefit of -- why is it better
8 to have less of an adjustment?

9 A. Again, this gets back to the production costing
10 model and having to come up with hourly loads.

11 We have the actual hourly load shape that
12 occurred on that day from the data that Ameren has
13 supplied us.

14 And load shapes differ according to weather.
15 The load shape of a cold day is very different from the
16 load shape of a hot day.

17 We want to use actual load shapes that occurred
18 because they're realistic. And we want to do as little
19 weather normalization on each day so that we have a
20 correct load shape for that temperature range.

21 Q. Okay. So for purposes of the production
22 costing model, because they want -- they need to use the
23 load shape for each day, it's beneficial to minimize the
24 weather adjustment.

25 Is that correct?

1 A. That's correct.

2 Q. How about on the other side of the equation?

3 How about on the use of your data that Jan
4 Pyatte is making to weather normalize sales for purposes
5 of developing weather normalized revenues?

6 A. Our research in the past has shown us that it's
7 not critical, but to be consistent between what we use for
8 production costs and what we use for weather normalization
9 of sales.

10 When we do weather normalization of both, they
11 are consistent.

12 This time I used UE's weather normalized sales.

13 So they used something -- my understanding is
14 they used something similar, not exactly like Staff's. So
15 the weather --

16 Q. Who is "they"?

17 A. Ameren.

18 Q. Okay.

19 Let me ask you this: If there were no -- and I
20 understand your need -- your desire to be consistent and I
21 understand to the limited ability that I have how when you
22 run a production costing model, the daily load curve is
23 important.

24 If there wasn't -- if you -- if the information
25 that you developed was not being used or was not needed to

1 be used for the production costing model, but, instead, it
2 was only being used for purposes of developing normalized
3 sales for purposes of calculating normalized revenues,
4 would you use another method, maybe similar to NOAA's?

5 A. Knowing what I know now, probably not.

6 Q. Why not?

7 A. Because I just feel it's a more accurate
8 development and representation of normal weather.

9 Q. Okay. You said there were -- and don't let me
10 put words in your mouth.

11 But I think you said there were other -- there
12 was NOAA and there were some other normalization
13 methodologies. What are those, if you know?

14 A. There is another one called Typical
15 Meteorological Year. TMY is what it's called a lot of
16 times. This is the math method used by HELM to calculate
17 normals. There is very simplistic methods that some
18 people use of averaging every January 1st. There is just
19 that simple method.

20 So there's various methods.

21 Q. But of all of those methods, yours minimizes
22 the adjustment, is my understanding of your testimony.

23 Is that right?

24 A. That's correct.

25 Q. And are all of the -- without going through

1 each one of them, do the other methodologies -- is there a
2 common denominator that differentiates them from your
3 methodology, or should I ask you how each one works?

4 A. I can't think of any common. I'm sorry.

5 Q. That's okay.

6 How does the NOAA methodology work?

7 A. My general knowledge is they calculate a normal
8 for each month and then allocate that based on a spline
9 back to the days, spline function.

10 Typical Meteorological Year looks at -- I'm not
11 for sure how many years -- and finds for each month a
12 month in that history that was close to normal based on a
13 monthly number.

14 Q. And then they --

15 A. And then that -- so they pull that out, and
16 this is August for the Typical Meteorological Year.

17 Because the month of August in 1968, when you
18 do all of the calculations, is close to normal. And I
19 don't know what that normal is based off of.

20 Q. Okay.

21 But then their adjustment will be the
22 difference between what was experienced in the test year
23 in August and that most typical of August that they can
24 find in the history that they're looking at?

25 A. That's correct.

1 And so there is no matching of day types or
2 anything with that one.

3 The HELM method is also a ranking method.

4 The difference, as I understand it, is they do
5 not keep track of what months the extreme falls in.

6 So the hottest normal is allocated to the
7 hottest day of the year regardless of where that occurred,
8 where it typically occurs.

9 Q. Okay.

10 A. And averaging across the date, that's -- that
11 is the method.

12 Q. They just take an average for each January 3rd
13 and that's --

14 A. Whatever it was, January 3rd of whatever
15 history they choose, that's . . .

16 Q. Okay. Let me ask you about the HELM model.

17 Am I correct in my understanding that the HELM
18 model is sort of developed by Union Electric's consultant
19 to try to track the Staff's methodology, albeit
20 imperfectly?

21 A. The HELM model was developed before the Staff
22 method was -- HELM itself was developed before Staff.

23 My understanding is the weather normalization
24 module is what UE paid to have developed.

25 Q. Okay. So it's not -- it's a UE sort --

1 UE consultant's specific model; it's not some sort of
2 generic model?

3 A. It is now available to whoever gives money to
4 ICF --

5 Q. Okay.

6 A. -- that module, weather normalization module.

7 Q. Who developed the Staff's rank and average
8 method?

9 A. Mr. Martin Turner.

10 Or Dr. Turner, I would say.

11 Q. And did you participate in that?

12 A. To some degree, yes.

13 Q. No pun intended.

14 How about Dr. Proctor, did he participate in
15 that?

16 A. Yes, he did.

17 Q. And when was that developed, if you know?

18 A. My guess would be early '90s, the same time we
19 were developing the weather normalization method.

20 Q. Okay. And is that rank and average method
21 embodied in -- I think I've seen a document that sort
22 of -- sort of a treatise as to how it works.

23 Is that true?

24 A. That's correct.

25 Q. Okay. Have you looked at all at how other

1 states do the analysis that the rank and average
2 methodology does?

3 Let me ask it this way: To your knowledge do
4 any other states or any other jurisdictions use the rank
5 and average method?

6 A. To my knowledge, no other State Commission does
7 weather normalization, period.

8 Q. So to your knowledge none of them use the NOAA
9 method because they don't do weather normalization?

10 A. My anecdotal, talking to other people from
11 other companies at conferences that I have been on, is,
12 no, their commission does not do the level of analysis
13 that we do.

14 Q. But you're not saying, are you, that they just
15 accept test-year revenues no matter how extreme the
16 temperature, are you?

17 A. I don't know. I've never specifically
18 addressed that with them.

19 Q. I mean, it seems not very logical that they
20 would.

21 But you don't know?

22 A. No, I don't.

23 Q. So you haven't looked at, like, what Illinois
24 does?

25 A. No, I didn't.

1 Q. Don't know what Kansas does?

2 A. No.

3 Q. Don't know what Iowa does?

4 A. No.

5 Q. Arkansas?

6 A. No.

7 Q. Okay. Are you aware of any support for the
8 rank and average method in academic literature?

9 A. No, I'm not.

10 Q. Let me go back to minimizing the adjustment
11 issue.

12 For purposes of Jan Pyatte's development of
13 normal revenues -- so put aside the production cost model
14 issues.

15 A. Okay.

16 Q. And I understand your desire to be consistent,
17 but put that aside for a second.

18 For purposes of Jan Pyatte's analysis, is there
19 any advantage to minimizing the adjustment?

20 A. I can't think of any.

21 Q. Okay. For purposes of her analysis, would it
22 be fair to say that the goal should be to try to figure
23 out what the adjustment should be without either
24 maximizing it or minimizing it, to find, I guess, the
25 truth, for lack of a better term?

1 A. I think the goal is to be as accurate as
2 possible.

3 Q. Okay. And not necessarily --

4 A. If we knew the truth, we'd all have our ball
5 and we could go make millions of dollars.

6 Q. I understand. No one knows what the truth is.

7 But to be as -- I like your terminology -- to
8 be as accurate as possible, would it be fair to say that
9 the goal for Jan Pyatte's purposes and for purposes of her
10 use of your data should be to be as accurate as possible
11 without either attempting to maximize or minimize the
12 adjustment?

13 A. I don't think the purpose should be either to
14 minimize or maximize. Again, it's to get the most
15 accurate.

16 I believe the rank method does give you the
17 most accurate, but the measure of how to do that is -- it
18 would be impossible to measure.

19 Q. Okay. But let me draw a comparison with
20 Mr. Bender's use of the data.

21 Now, when you look at his use of the data, my
22 understanding is there is a real reason that you want to
23 minimize the adjustment on any particular day, and that
24 reason is, because you need the daily hourly load curves.

25 Is that true?

1 A. That is correct.

2 Q. So in the case of a production cost model, a
3 goal, other than, you know -- a goal is to minimize the
4 adjustment, and that goal is not for purposes of
5 Ms. Pyatte's use of the data?

6 A. It's not a high priority goal, no.

7 Q. Well, it shouldn't be a goal at all?

8 A. It's a fallout from using the same normals.

9 Q. Okay. I understand it's a fallout from being
10 consistent, and you want to be consistent.

11 But independently there is no reason to
12 minimize the adjustment for Ms. Pyatte's analysis?

13 A. No.

14 Q. Okay. Does the Staff weather normalize sales
15 data in gas cases?

16 A. Yes, we do.

17 Q. Do you use the same methodology in gas cases as
18 electric cases?

19 A. I'm not familiar enough with gas cases. I
20 haven't worked on them.

21 Q. Do you know who does the weather normalization
22 in gas cases?

23 A. Are you talking about the calculation of
24 weather normals or are you talking about the weather
25 normalization process itself?

1 Q. What's the difference?

2 I expose my ignorance here.

3 A. I do know that Dennis Patterson supplies the
4 weather to Staff that does the gas weather normalization.

5 Q. So he'll calculate, like, a normal weather?

6 A. I don't know if he calculates that for them or
7 not. He does not calculate the normals that I use. I
8 calculated those. So I don't know for gas.

9 Q. So you don't know if he uses the rank and
10 average method as part of his analysis?

11 A. I don't know.

12 No, I do not.

13 Q. For all you know, he might be using the
14 straight-average method or the NOAA method?

15 A. I doubt it, but he may be for all I know.

16 Q. Okay. How about other utility cases, is there
17 any -- I guess -- well, I don't know.

18 Is there any weather in water cases? Is that a
19 factor?

20 A. Staff does weather normalize water usage in
21 large water cases, yes.

22 Q. And, I guess, probably, maybe the reason is
23 because there is sprinklers that are on in the summer, do
24 you know?

25 A. I'm not familiar enough with that to know.

1 Q. Do you know if they use the same methodology
2 that you use in water cases?

3 A. No, I do not know that, what they use.

4 Q. So you don't compare methodologies with other
5 members of Staff that work in other areas of utility
6 regulation?

7 A. That's not my responsibility.

8 Q. Is it somebody's responsibility to do that?

9 A. Mr. Dennis Patterson and Dr. Proctor determined
10 that.

11 Q. Okay. So for all you know, what you're doing
12 in the electric area could be completely inconsistent with
13 what is done in the gas and water area?

14 I mean, you just don't know.

15 Is that true?

16 A. That's true.

17 Q. Okay. Let's go back to what you did.

18 I think we're up to, you've got the hourly data
19 for Union Electric and Ameren, you took out the
20 Archer-Daniels-Midland load from the Ameren and then you
21 did the weather normalization which we've been talking
22 about.

23 And as I understand it, then you end up
24 with weather normalized hourly loads for both Ameren and
25 Union Electric.

1 Is that right?

2 A. That's correct.

3 Q. Then what did you do?

4 A. Um, I looked at the results of the data. I
5 looked at the days, the peaks that ended up occurring on
6 the weather normalize. I checked it against any data that
7 I might have to accompany.

8 I don't remember exactly when I found out the
9 station use was included in the loads.

10 Q. But you're doing reasonableness checks at that
11 point?

12 A. I'm doing reasonableness checks based on data
13 from Ameren and also knowledge that I've accumulated over
14 the past decade of doing this.

15 Q. Do you remember any specific reasonableness
16 checks that you did at that point?

17 A. I know I checked the dates that the normal peak
18 fell on and checked the weather allocated to those, that
19 was assigned to those days, to make sure that they were
20 reasonable.

21 Q. What days are you talking about?

22 You said the days of the normal?

23 A. The peak, monthly peaks.

24 Q. Monthly peaks.

25 A. I'm sorry.

1 Q. So the peak day each month you looked at, and
2 then you looked at the normalized weather for that to see
3 if that's --

4 A. I looked at the normalized versus the actual
5 peak on that day.

6 Q. Normalized weather or normalized usage?

7 A. Well, I looked at usage, and if there was
8 something that led me to look further, I would look at the
9 normal weather that was assigned to that day.

10 Q. Okay. Anything else that you did for a
11 reasonableness check?

12 A. I compared to make -- I looked at it to make
13 sure that the summer peak is higher than the winter peak,
14 that the peaks -- you know, that they're consecutive, that
15 one month isn't a lot higher than the months around it,
16 unless it's supposed to be. Those types of reasonableness
17 checks.

18 I look at the load factors that result from
19 this analysis to make sure they haven't changed
20 considerably, those type of reasonableness checks.

21 Q. And when you did all of these reasonableness
22 checks -- well, I want to understand in chronological
23 order what happened.

24 But is that when you -- don't let me skip ahead
25 of time.

1 But is that when you discovered that you were
2 dealing with gross numbers instead of the net numbers that
3 you thought you were?

4 A. That was probably back when I got done with --
5 I did UE's numbers first and then Ameren's.

6 And when I was comparing the results of the net
7 system load to the weather normalized sales, in comparing
8 those numbers, at that point is to the best of my
9 recollection when I found out that station use wasn't
10 included, and also that the wholesale -- old wholesale
11 contracts were still in.

12 So I did Ameren in the same progression --

13 Q. Okay.

14 A. -- so that the two would be consistent.

15 Q. So you realized at some point during your
16 reasonableness checks, I guess, of Ameren, that you had a
17 problem with the fact that it was gross numbers versus net
18 numbers and the fact that these former customers were
19 needed -- you needed those adjustments.

20 Were there any other problems that you saw with
21 your analysis based on your reasonableness checks at that
22 point?

23 A. No, there was not.

24 Q. Okay. So then what did you do?

25 A. I weather normalized the hourly wholesale

1 customer load that I had gotten from Pam, added losses to
2 that and --

3 Q. Pam who?

4 A. Pam -- I always say it wrong -- Groth --

5 Q. Okay.

6 A. -- of Ameren. I weather normalized those
7 loads.

8 Q. And those are customers -- just so I
9 understand, those are customers that used to be served --
10 used to be provided electricity from Union Electric
11 Company but now, as a result of maybe Order 888, they're
12 being served by not Union Electric Company?

13 A. My understanding is their contract with Union
14 Electric came to an end, and at that time they became
15 customers of Ameren.

16 Q. Like the Ameren Energy Marketing maybe?

17 A. Probably.

18 Q. The unregulated or lesser regulated marketing
19 affiliate?

20 A. That's my understanding.

21 Q. And these are, like, industrial customers, I
22 guess, mostly?

23 A. No. These are cities, municipals.

24 Q. Okay.

25 I'm sorry. I interrupted you.

1 A. And because, you know, there are losses to
2 deliver that usage of sales to them, I added losses to
3 that amount and subtracted that out of UE's weather
4 normalized loads.

5 I also had --

6 Q. Let me stop you there for a second.

7 How did you figure out how much to subtract for
8 losses?

9 A. I consulted with Allen Bax, who did losses --
10 Staff Witness Allen Bax who did losses in this case at the
11 system level.

12 Q. And what was the adjustment that you made for
13 losses?

14 A. I believe for these wholesale customers it was
15 4 percent.

16 Q. 4 percent.

17 And then did you have to also deduct for losses
18 for the rest -- for the other gross hourly numbers?

19 A. Um, no, I did not, because that's at the
20 generators. So there is no losses for station use.

21 Q. Okay. Let me back up for a second.

22 Okay. Let's talk about station use for a
23 second.

24 You made a deduction for station use.

25 Is that right?

1 A. Yes, I did.

2 Q. And that came out of the hourly numbers for
3 Ameren and Union Electric both. Right?

4 A. The station use numbers that I used were
5 monthly numbers that were part of a DR answer.

6 Q. Okay. So the Company provided you with those?

7 A. Yes.

8 Q. And did they provide you with a station use
9 number for Ameren as a whole and a station use number for
10 Union Electric?

11 A. Yes.

12 Q. Okay. So that station use -- and we already
13 talked about the Ameren Energy Marketing customers.

14 But losses I'm having a little trouble
15 understanding.

16 You said that losses were 4 percent for those
17 customers -- associated with those customers that you took
18 out?

19 A. For the -- because they are at a higher
20 delivery than your typical residential or secondary
21 customer.

22 Q. And does that mean that losses are less?

23 A. Yes, it does.

24 Q. Okay. But didn't you have to also adjust the
25 other numbers for losses, too, the remaining volumes in

1 those hourly -- in the Ameren and Union Electric
2 hourly --

3 A. No. Because those are at generator and they
4 include losses.

5 Q. I'm not talking about the station use. I'm
6 talking about just all of the other hourly load numbers.

7 Didn't those also have to be adjusted for loss?

8 A. My understanding is that is -- those numbers
9 come from the generating units themselves. They already
10 include losses.

11 Q. But aren't there -- again, maybe I don't
12 understand this, but I thought there were losses,
13 transmission losses.

14 In other words, after the electricity leaves
15 the generating unit, aren't there, like, line losses
16 incurred in delivering it to the customers?

17 A. Yes, there is.

18 Q. Okay. And did you adjust our gross hourly
19 numbers for those line losses?

20 A. When I reconciled the net system input into the
21 sales used for revenues, at that point I added losses back
22 in, because the generating plant has to generate enough
23 electricity to get the sales to where they're going --

24 Q. Okay.

25 A. -- which includes losses.

1 Q. Is my limited understanding correct, though,
2 that there are -- in transmission and distribution there
3 are some losses that occur, and that's what you added back
4 in?

5 A. When I reconciled the sales used to generate
6 revenues to net system --

7 Q. Okay.

8 A. -- yes.

9 Q. But I'm jumping ahead chronologically. You're
10 trying to stay on the chronological.

11 A. Yes.

12 Q. Okay.

13 So the losses that you adjusted for right now
14 in this part of the chronology are the 4 percent.

15 And how did you get that 4 percent?

16 A. I consulted with Staff Witness Allen Bax.

17 Q. Okay. So then is there any other adjustments
18 that you made at that point?

19 A. Not to UE's load.

20 Q. Okay. Then what did you do?

21 A. Then with Ameren's load I took out ADM, as I've
22 discussed earlier, plus losses, again, 4 percent.

23 Q. Losses associated with --

24 A. The delivery of -- yeah, what they -- ADM
25 required.

1 I weather normalized the average and the peaks
2 for those, derived hourly loads out of that, weather
3 normalized.

4 Q. So now you've got for both Ameren and Union
5 Electric?

6 A. And because the wholesale sales that I took out
7 of UE were already in Ameren, I didn't have to add those
8 back in. So that was already a part of Ameren.

9 Q. Okay.

10 A. At that point I needed to normalize for ADM's
11 loads.

12 Q. Okay.

13 A. And, um, I only had -- I had eight months worth
14 of data for them.

15 So I used that information to determine hourly
16 loads for ADM for the year beginning January 1st through
17 December 31st.

18 Q. So you kind of extrapolated a whole year's
19 worth of hourly data based on the eight months that you
20 actually had.

21 Is that right?

22 A. But I was careful in -- because weekend usage
23 is different than a weekday usage for ADM, I was careful
24 to make sure that the weekends lined up and that I took
25 months of usage -- I didn't take an August month and put

1 it in January. I took a winter month, replicate January.

2 Q. Okay. Then what did you do?

3 A. I added those loads to Ameren, ADM loads to the
4 Ameren normalized loads.

5 Q. Got you.

6 A. At this point I received a normalized usage
7 number that included adjustments for weather to sales,
8 growth, customer growth, any large customer annualizations
9 for UE Missouri, and I think that was it.

10 I added those together. I had that number. I
11 applied losses as supplied to me by Allen Bax. So I had
12 an annual kilowatt hour number.

13 Q. Is this different than the 4 percent -- is this
14 a different loss calculation than the 4 percent?

15 A. Yes, it is.

16 Q. Okay. Let me stop you there for a second.

17 At some point I'm expecting that you're going
18 to use the Ameren and Union Electric data to calculate
19 CIPS.

20 Is that coming up in the future?

21 You haven't gotten there yet?

22 A. I haven't gotten there yet.

23 Q. You didn't skip over it?

24 A. I didn't skip over it.

25 Q. I just wanted to make sure.

1 So this is the point where you add in a loss
2 factor?

3 A. Oh, the other adjustment I added too, because
4 all of the sales were on a Missouri jurisdictional basis.
5 I acquired Illinois sales number --

6 Q. For Union Electric?

7 A. -- for Union Electric because it needs to be at
8 a net, total UE company.

9 So that was added and the losses were applied,
10 and the hourly net system input into production costs
11 model was reconciled so that you can sum those loads and
12 they will be equal to the sum of the sales, growth,
13 weather adjustment, Illinois jurisdiction and losses, so
14 they are consistent.

15 Q. Okay. What did you use for losses in this
16 calculation?

17 A. I don't remember the exact number. It was
18 above 7 percent. But I don't remember.

19 Q. Above 7 percent?

20 A. I believe so.

21 Q. And you might have already said this, but why
22 the difference between the loss applicable to the
23 municipalities and the loss applicable to the rest?

24 A. Energy is delivered to the municipals and to
25 large customers such as ADM at a primary level or higher

1 transmission level.

2 And UE has over a million residential customers
3 who take service at secondary, which means there is
4 greater losses going from primary to secondary.

5 Q. Okay. So they're losing -- as the electricity
6 goes through the distribution system, whereas, when you
7 sell to a municipality, those distribution losses are kind
8 of on the municipality. Is that --

9 A. From the point they take it to where it's
10 delivered to municipal customers, yes.

11 Q. And where did you get the -- did you calculate
12 the number used for losses or did you get it from
13 Allen Bax?

14 A. I got the percentage from Allen Bax.

15 Q. Okay. And does the percentage he gave you
16 represent an average for the year?

17 A. Yes, it does.

18 Q. Isn't it true, though, that losses is a factor
19 that varies over the course of the year pretty
20 considerably?

21 In other words, in the summertime -- on a hot
22 day in the summertime, isn't it true that the losses are
23 higher than sometime when there is less electricity being
24 delivered to customers?

25 A. That's true.

1 Q. Do you know the magnitude of the variance
2 between the losses experienced on a hot day and, you know,
3 a 65-degree day?

4 A. Not for this time period, no.

5 Q. Okay. I guess would it be fair to say the
6 results that you produced would have been more accurate if
7 they would have taken into account the variance in losses
8 between periods of heavy use and period of less heavy use?

9 A. The losses would have been -- there is more to
10 this equation than just the losses. So you have to be
11 able to have consistent sales and usage data to go with
12 the monthly losses.

13 Q. But I mean, you had -- you had hourly sales
14 data. I mean, I understand there is limits to what you
15 can do with the data.

16 But if you had had -- and I'm sure the data
17 doesn't exist.

18 But if you had had losses that tracked every
19 hour of the system use, and you could have applied those
20 losses to each hour's data, isn't it true that you would
21 have had a more accurate picture of what went on?

22 A. I did not have hourly sales data.

23 Q. What is the hourly data?

24 A. The hourly data is at generation.

25 Q. Okay.

1 A. So that already includes the losses. I did not
2 have hourly sales data.

3 Q. Okay. Well, let me ask you this. Let me ask
4 it more simply.

5 Could you not have got more accurate outputs if
6 you had used a loss factor which reflects the seasonal
7 difference in losses as opposed to a single 7 percent, or
8 whatever the number was?

9 Wouldn't that have -- wouldn't that -- wouldn't
10 use of a seasonal loss factor or a monthly loss factor or
11 a daily loss factor, if the data was available, wouldn't
12 those factors -- use of those factors have yielded more
13 accurate results than a simple annual average loss factor?

14 A. I don't know.

15 Q. Okay. You didn't calculate the loss factor
16 though. Right?

17 You got it from Allen Bax?

18 A. Right.

19 Q. He calculated it?

20 A. That's correct.

21 Q. And is it -- I've been kind of assuming it's an
22 annual average. Is that your understanding?

23 A. That's correct.

24 Q. Okay. Do you know very much about how losses
25 are calculated?

1 I mean, is that an area that you do work in?

2 A. I've never done that calculation myself, no.

3 Q. Do you know the difference between an energy
4 loss multiplier and a demand loss multiplier?

5 A. No, I do not.

6 Q. Do you know which one you used in your
7 calculations, if either?

8 A. No, I do not know.

9 Q. Okay. Then what is the next thing you did
10 after all of that?

11 A. So I had Ameren weather normalized -- or
12 normalized not just weather but also normalized for ADM.
13 And I had UE loads.

14 And at that point I subtracted UE from the
15 Ameren on an hour-to-hour basis, and that's how I
16 developed the CIPS load.

17 Q. Okay. So you didn't have to -- you were
18 subtracting weather normalized UE from weather normalized
19 Ameren, so you didn't have to apply -- you didn't have to
20 do a separate weather normalization calculation --

21 A. That is correct.

22 Q. -- for CIPS.

23 Is that correct?

24 A. That's correct.

25 Q. Okay. Did you make any other adjustments to

1 the CIPS numbers?

2 A. No, I did not.

3 Q. One area is -- and I think you may have touched
4 on it earlier.

5 My understanding is there are some customers in
6 the CIPS service territory, and Soyland is one that I know
7 you mentioned before, and the Illinois Municipal
8 Electrical Association is another, that my understanding
9 is that are served by non-- nonAmeren generators.

10 Did you make adjustments -- do you know about
11 that? Is that true, do you know?

12 A. I'm somewhat familiar with the Soyland contract
13 but not the Illinois Municipal contract.

14 Q. Okay. Did you make any adjustments for either
15 Soyland or the Illinois Municipal Electrical Association
16 loads?

17 A. We did -- I did discuss with Leon for Soyland.
18 They also have some generation that UE has control over.

19 Q. Soyland does?

20 A. Yes.

21 And that was included in the production cost
22 model.

23 So no adjustment was made for Soyland. I did
24 not know anything about the Illinois load, so I didn't do
25 any consideration or any looking at those loads.

1 Q. Okay. If those are loads in AmerenCIPS control
2 area but they are served by nonAmeren generating sources,
3 would it be appropriate to make an adjustment for them?

4 A. If, unlike Soyland, UE does not have control
5 over some of their generation, then, yes, it would be
6 appropriate to remove them.

7 Q. And even with respect to Soyland, I understand
8 you talked -- when you say Leon, you mean Leon Bender --

9 A. Yes.

10 Q. -- the production cost model witness?

11 And I guess he reflects that in the production
12 cost model.

13 But what about for purposes of Jan Pyatte's
14 calculation of normal revenue, shouldn't both the IMEA
15 and -- which is the Illinois Municipal Electric
16 Association -- and Soyland loads, if they're served by
17 nonAmeren generators, be adjusted for?

18 A. No. That has no relationship at all to what is
19 given to Janice Pyatte.

20 Q. Okay. Are there any other adjustments that you
21 made?

22 Or what did you do next?

23 I guess I'm back to what did you do next?

24 A. I wrote my testimony.

25 Q. Okay. So your analysis was done at that point?

1 A. That's correct.

2 Q. And you had -- the results were you had weather
3 normalized CIPS loads, as well as weather normalized
4 Ameren and normalized for other factors too, and
5 normalized Ameren Corporation and AmerenUE --

6 A. That --

7 Q. -- hourly loads?

8 A. Yes, as a result of my analysis.

9 Q. What was your interaction, if any, with Union
10 Electric Company personnel when you did your analysis?

11 Was there any -- did you ask them about any of
12 the stuff other than the data requests that you asked?

13 Did you meet with them or did you just do the
14 work on your own?

15 A. I did not meet with them. I did not discuss
16 methods with them. I did discuss -- when I went to
17 reconcile and do reasonableness checks, I did call Tim
18 Finnell, to Pam, to check with them -- I think that's the
19 only people there I talked to -- to check with them about
20 why -- oh. I talked with Su Yu, who also works with Rick
21 Voytas, all in trying to reconcile the numbers and to get
22 information about the data that I was using.

23 Q. Okay. How many times did you talk to people at
24 UE, do you think?

25 A. Combined, probably a dozen times.

1 Q. Were they helpful in giving you the information
2 that you needed?

3 A. They were extremely helpful.

4 (OFF THE RECORD.)

5 BY MR. BYRNE:

6 Q. Let me ask about the source of temperature data
7 that the Staff uses in rate cases.

8 My understanding is -- recently there was a
9 Union Electric gas case, and my understanding is that for
10 Union Electric's gas territory, for their weather
11 normalization, they used different temperature reading
12 areas.

13 Do you have any familiarity with that at all?

14 A. I don't know what they use, if that's what
15 you're asking.

16 Q. I mean, I guess what I'm saying is, they don't
17 use Lambert for temperature data for our Columbia,
18 Missouri or Jefferson City, Missouri or Cape Girardeau
19 areas?

20 I mean, do you have any knowledge of that, or
21 does that sound right to you?

22 A. That sounds correct.

23 Q. And why wouldn't they use Lambert for that?

24 A. Because their loads -- the gas loads are more
25 close -- are closer to Columbia and the Cape weather

1 stations than they are the St. Louis weather station.

2 Q. But isn't an advantage of the St. Louis weather
3 station that it's a class one, or the highest class of a
4 weather station?

5 A. I don't know.

6 Q. You don't know.

7 Okay. But in any event, because of the
8 geographic differences, you would agree that it's
9 appropriate to use Columbia, say, for the mid-Missouri
10 portions of our gas service territory; it's appropriate to
11 use Cape Girardeau for our Cape Girardeau portions, rather
12 than Lambert?

13 A. From my limited knowledge, yes.

14 Q. And you wouldn't use Lambert for, you know,
15 Kansas City Power & Light, would you?

16 A. No, we do not.

17 Q. What do you use for them?

18 A. We use KCI.

19 Q. And that's Kansas City International Airport --

20 A. Yes, it is.

21 Q. -- weather station?

22 And I guess the point being, you need to have a
23 weather station that's physically close to or in your
24 service territory.

25 Is that fair to say?

1 A. To where your customers are, yes.

2 Q. Okay. But it's my understanding, though, that
3 when you -- over the course of developing weather
4 normalized hourly loads for the AmerenCIPS service
5 territory, under your analysis that's based on Lambert
6 Field/St. Louis temperatures. Is that correct?

7 A. That is correct.

8 Q. Okay. And are you aware of the location, the
9 geographic scope of the AmerenCIPS service territory?

10 A. I'll have to clarify what I said earlier.

11 I used Lambert for Ameren and for UE. CIPS is
12 the fallout from the two.

13 Q. Okay. But if you used it for Ameren and you
14 used it for UE and you calculated CIPS by subtracting UE
15 from Ameren, isn't it implicit in the weather normalized
16 CIPS numbers the weather normalization that was done on
17 the Ameren and the UE data using Lambert Field
18 temperatures?

19 A. Ameren is consistent with St. Louis airport as
20 a whole, and we know that UE is -- or we believe that UE
21 is then the fallout -- I would have to do some analysis to
22 know whether that is implying that you're using
23 St. Louis weather or it's the fall -- the difference.

24 The difference is CIPS if the majority of the
25 usage is UE.

1 So I'm saying that I really don't know because
2 I haven't done an analysis on that.

3 Q. Okay. Let me talk about some other things in
4 your answer.

5 One is, you do have a long history of using
6 Lambert -- and I think the Company does too -- of using
7 Lambert Field/St. Louis as the appropriate temperature for
8 Union Electric's Missouri service territories.

9 Is that correct?

10 A. That's correct.

11 Q. And I don't think there is really any debate
12 about that, is there, between the Company and the Staff,
13 to your knowledge?

14 A. Not to my knowledge.

15 Q. Other than Laclede, who I don't work for
16 anymore.

17 And so I understand that. But you also said --
18 well, you also said if it's appropriate to use Lambert for
19 Ameren as a whole.

20 And did you make a determination that it's
21 appropriate to use Lambert temperatures for Ameren as a
22 whole?

23 A. I did consider it based on the weather data we
24 had available and the knowledge that the majority of
25 Ameren's load is in Missouri, is in UE. I went ahead and

1 used the St. Louis airport weather for Ameren also.

2 Q. But you didn't do any analysis of that, did
3 you?

4 A. No, I did not.

5 Q. Okay. And when you say the majority of
6 Ameren's customers are UE, do you know roughly what the
7 breakdown is between UE and CIPS in terms of customers?

8 A. Not in number of customers, but in size of
9 load, yes.

10 Q. Okay. What's the breakdown?

11 A. The total peak, normalized peak for this, the
12 year that I normalized was 10,600 megawatts, and the
13 normalized peak for UE was 7,800.

14 So the UE load is about twice of what the CIPS
15 load is.

16 Q. I didn't follow -- I didn't hear a number that
17 was twice the other number. So would you go over that
18 again?

19 A. 10,600 would be Ameren total system.

20 Q. Okay.

21 A. 7,800 is UE. Using rounding, that's about
22 3,000.

23 Q. Okay. So 70 percent of Ameren's load is UE on
24 the peak?

25 A. 70 to 80 percent, yeah.

1 Q. Okay. Really, UE has more than double the load
2 based on that peak?

3 A. Yes.

4 Q. I might have asked you this before, but do you
5 know the geographic boundaries of the CIPS territory?

6 A. No, I do not.

7 Q. Do you know what states they're in?

8 A. No, I do not.

9 Q. Do you know whether part of it is in Illinois?

10 A. I would assume part of it is in Illinois.

11 Q. Do you know if part of it is in Indiana?

12 A. No, I do not know that.

13 Q. Do you know if part of it is in Minnesota?

14 A. No, I do not.

15 Q. Okay. Do you know what temperature measuring
16 locations CIPS uses in their rate cases?

17 A. No, I do not.

18 Q. I've been told there are temperature data in
19 Marion, Natune (phonetic sp.) and Quincy, Illinois.

20 That doesn't ring any bells for you?

21 A. No, it doesn't.

22 Q. Okay. Did you ask anyone at Union Electric
23 what temperature data is used to normalize CIPS loads?

24 A. No, I did not.

25 Q. Why didn't you?

1 A. I didn't have time.

2 Q. Okay. And you didn't have time.

3 Why didn't you have time?

4 A. We have had a busy -- a heavy workload at the
5 Commission this year.

6 Q. And were you trying to meet a deadline for your
7 testimony to be filed in conjunction with the complaint?

8 Was there, like, a deadline you knew you had to
9 meet?

10 A. There was a filing deadline of July 2nd.

11 Q. And who established that deadline?

12 A. The Commission order said that we could file a
13 complaint case as of July 1st. That was a Sunday. So we
14 assumed July 2nd.

15 Who actually determined that was the day, I
16 don't know.

17 Q. Okay. I mean, the Commission order said you
18 could file a complaint as of that day, but it didn't
19 require you to.

20 Is that right?

21 A. No, it did not.

22 Q. But somebody in Staff decided that July 2nd was
23 going to be the complaint filing day?

24 A. That's correct.

25 Q. And they also wanted to -- although I guess

1 didn't necessarily have to -- but wanted to file the
2 testimony concurrently with the filing of the complaint?

3 Is that true?

4 A. I believe it's now required that we -- I know
5 for rate cases that -- rate increase cases that you have
6 to file direct testimony when you file the case.

7 Q. Okay. So whether it was a requirement or not,
8 it may have been a requirement or maybe you were just
9 following the practice of rate cases?

10 A. That's correct.

11 Q. But you don't know who made that decision in
12 the Staff?

13 A. No, I do not.

14 Q. Who told you that your testimony had to be
15 filed by July 2nd?

16 A. I don't remember.

17 Q. Okay. And did that put a pretty considerable
18 burden on you to complete your testimony by that date?

19 A. Yes.

20 Q. If you had had more time to work on your
21 testimony, are there additional things you would have
22 done?

23 I guess -- the reason this came up to begin
24 with is asking about what temperature stations were used
25 to normalize CIPS.

1 And I guess that's probably one thing that had
2 you had the luxury of a lot of time you might have pursued
3 further.

4 Is that a fair statement?

5 A. That's a fair statement.

6 Q. Are there other things that if you would have
7 had additional time to pursue, you would have, that
8 related to your testimony, that you would have liked to,
9 in a perfect world, if you had more time?

10 A. I can't think of any other.

11 Q. Might you have done additional reasonableness
12 checks if you had more time?

13 A. Most likely, no.

14 Q. Might you have considered other alternatives to
15 the way you did your analyses if you had had more time?

16 A. Given the luxury of all of the time that I
17 wanted, I probably would have weather normalized CIPS
18 independently, might have been one other analysis that I
19 would have done to check as a reasonableness check against
20 what fell out.

21 Q. Are you thinking of a specific reasonableness
22 check, or are you just thinking you would have come up
23 with another one?

24 A. Yeah, I would have come up with another one.

25 This is the first time that I've had to do

1 that.

2 Q. Would it be fair to say that you are more
3 rushed than usual by the deadlines of this case, more
4 rushed than usual in a rate case where -- well, just more
5 rushed than usual in a rate case or a complaint
6 proceeding?

7 A. Unfortunately, not anymore, no.

8 Q. Were you more rushed in this case than you
9 historically have been in the past even if now everything
10 is a rush?

11 A. In the past there has been some cases when
12 there has been more resources devoted to weather
13 normalization, yes, if that's --

14 Q. And I guess in a rate case as opposed to a
15 complaint case, you know, there is an 11-month period from
16 the time the case is filed until the conclusion of the
17 case. And I guess within that 11 months the Staff is
18 afforded many months of time to do their analysis and file
19 their testimony.

20 How much time did you have in this case from
21 starting of your analysis to the day it had to be filed?

22 A. I can't say that.

23 Q. Well, do you have any -- I mean, surely you
24 must have -- and I know you can't probably say the
25 specific date, but was it, like, at the beginning of the

1 year time frame that you started your analysis, or was
2 it -- do you think it was -- let me ask you this: Do you
3 think it was before or after the beginning of the year
4 2001 that you started your analysis?

5 A. It was before that.

6 Q. Okay. Do you have any order of magnitude of
7 how much before?

8 A. Probably three or four months before then.

9 Q. Okay. And during the period that you were
10 working on this case, were there a lot of other things
11 that you were working on that took time away from it?

12 A. Yes, there was.

13 Q. What were some of the main things that you were
14 doing that took time away from preparing for this case?

15 A. We had another electric rate case, Empire
16 District Electric Company.

17 Q. And you filed testimony in that?

18 A. Yes, I filed testimony in that.

19 Q. Did you file direct -- how many pieces of
20 testimony did you file?

21 A. I filed direct. The company agreed to my
22 numbers, so that was resolved.

23 I've also spent a lot of time on the EFIS
24 project, which is Electronic Filing Information System.

25 I've worked considerably on some rule changes

1 that the Commission is working on also.

2 Those would be the major projects that I was
3 working on.

4 Q. Were there chunks of time in between when you
5 started working on this case -- which was three or four
6 months before the end of 2000 and, I guess, when you
7 filed -- were there chunks of time when those obligations
8 pretty much prevented you from doing any significant work
9 on this case?

10 A. Yes, there was.

11 Q. Were there months in a row where you couldn't
12 do any significant work on this case?

13 A. Not months. I wouldn't say months.

14 Q. A month?

15 A. Not at one time, no.

16 Q. Were there a bunch of several week-long periods
17 where you --

18 A. There were some week-long periods, yes, within
19 that time period where I did not have time to work on this
20 case.

21 Q. Okay. You certainly haven't had the luxury of
22 only focusing on this during that period of time that you
23 were working on it?

24 A. No, I did not have that luxury.

25 Q. Did you spend more time on those other things

1 than you did on this case during that period?

2 A. Most likely. I can't say for sure, but most
3 likely.

4 Q. Could you rank -- like, is the -- of those
5 things that you mentioned, what did you spend the most
6 time on, the electronic filing thing maybe or Empire case
7 or this case?

8 A. I really can't say.

9 Q. Okay. But they were all considerable consumers
10 of time, including this case?

11 A. Yes.

12 Q. Okay. Let me ask you this: I guess getting
13 back to the CIPS -- I mean, in my mind if you used
14 Ameren -- total Ameren hourly loads weather normalized
15 with Lambert data and you subtracted Union Electric hourly
16 loads weather normalized from Lambert data to get CIPS
17 hourly loads, in my mind, to my way of thinking, those
18 CIPS hourly loads are implicitly weather normalized with
19 Lambert data.

20 What is wrong with that?

21 I mean, do you agree with that or not?

22 Surely there is no other temperature data from
23 Illinois or Minnesota that's influencing the calculation,
24 is there?

25 A. The weather in Minnesota or Indiana is

1 affecting the loads that go into the AmerenUE -- or the
2 Ameren hourly loads.

3 Ideally, those should be weather normalized
4 using weather stations closer to where those loads
5 occurred. The amount -- the difference in the weather
6 adjustment, if it was significant or not, is where I'm
7 having --

8 Q. Got you.

9 A. -- the problem.

10 Q. You don't know whether it would have been
11 significant -- even though ideally you should use weather
12 stations closer to the CIPS territory in part of your
13 analysis, and even though you didn't do that in this case,
14 you're saying that you don't know what, if any,
15 significance that would have in your outcome?

16 A. That's correct.

17 Q. Okay. Well, let me ask you this: Would it
18 surprise you to find out that CIPS -- temperatures in the
19 CIPS territory were significantly different than
20 temperatures in the UE service territory during the period
21 that you looked at this data?

22 A. No, it wouldn't surprise me at all.

23 Q. What would you -- I guess -- let me ask you:
24 What would you consider a significant difference in
25 temperature?

1 If temperature was 10 percent cooler in the
2 CIPS service territory than in the Union Electric service
3 territory, would that be a significant difference for
4 purposes of your analysis?

5 A. That would be dependent upon the mix of
6 customers in the CIPS territory.

7 If there is a lot of base-load customers that
8 are not affected by weather, then a 10 percent adjustment
9 to weather -- a difference in weather does not equate to a
10 10 percent difference in sales. It would be less than
11 that.

12 And whether it's significant or not would have
13 to do -- would depend on the makeup of the customers in
14 the CIPS territory.

15 Q. Could you just assume for me -- and I realize
16 you haven't analyzed the CIPS customers.

17 But could you assume for me that they have a
18 weather sensitive load on the same order of magnitude as
19 Union Electric Company; they have the same mix of
20 residential and commercial and industrial customers.

21 And under those circumstances do you think a
22 10 percent difference in degree days, let's say, would
23 make a significant difference in the outcome of your
24 analysis?

25 A. I really don't know.

1 Q. What about a 20 percent difference, does that
2 become significant?

3 And I understand you can't know with
4 mathematical precision, but I'm just trying to get a feel
5 for when the weather difference matters in your
6 calculation to a reasonably significant degree, if you
7 know.

8 A. 20 percent would be more likely to make an
9 impact at 10 percent. That I can tell you.

10 Q. If I just keep going up by 10s, would
11 30 percent certainly -- you know, almost certainly be a
12 significant change?

13 If the degree days were 30 percent colder -- if
14 the degree days indicated that the CIPS territory was
15 30 percent colder, assuming the same type of weather
16 sensitivity in a load as Union Electric, would that almost
17 certainly be a significant impact on your analysis?

18 A. Yes.

19 Q. Okay. And 20 percent might be a significant
20 impact?

21 A. Yeah.

22 Q. 10 percent, then it starts being more marginal?

23 A. That would be a correct representation.

24 THE COURT REPORTER: Excuse me. I need to
25 change paper.

1 (OFF THE RECORD; THE LUNCH RECESS WAS TAKEN.)

2 BY MR. BYRNE:

3 Q. Have you finished explaining your analysis?

4 I mean, did you get to the end when we were
5 going through that chronologically?

6 A. I believe so.

7 Q. Okay. And you talked to me a little bit about
8 reasonableness checks.

9 Did you pretty much tell me all of the
10 reasonableness checks that you did that you can remember?

11 A. I talked about reasonableness checks on the
12 results.

13 Also within the analysis itself there are
14 several checks and balances built in, two different ways
15 to come up with the same answer, to see -- to make sure
16 that I'm getting the correct answer.

17 Q. Can you tell me how that worked?

18 A. More or less I have two different ways that I
19 can calculate the normal -- normalized loads for each day.

20 There is two different equations that I can
21 use. I calculate them both way. And if they're the same,
22 then I conclude that at least I've got the answer for
23 those equations the same. If they're different, then I go
24 back and look for some problems.

25 Q. And in this case they were the same?

1 A. They were the same.

2 Q. And it's not even just -- they were exactly the
3 same. It's not a case of it being the same order of
4 magnitude?

5 A. No. They were exactly the same.

6 Q. Is that more or less checking for mathematical
7 type of errors?

8 A. Yes.

9 Q. Okay. Both ways are the same kind of analysis.
10 It's not like approaching it from a whole different kind
11 of analysis?

12 A. No. It's just using two different equations to
13 come up with the same.

14 Q. Before we talked about the difference in peak
15 load between UE and CIPS, and I think you said that you
16 don't know how many -- what the difference in number of
17 customers between UE and CIPS is?

18 A. That's correct.

19 Q. Okay. Do you know who has more customers even?

20 A. I would assume Ameren does -- or UE does, since
21 the load is so much larger.

22 Q. Okay. If you could, for the next few
23 questions, could you assume that UE has three times as
24 many customers as CIPS?

25 Okay?

1 A. Okay.

2 Q. I realize you don't know that to be true.

3 Okay. Take a look in your testimony at
4 Schedules 3 and 4.

5 Can you tell me just generally what is shown on
6 Schedules 3 and 4?

7 A. Schedule 3 is the results -- a summary of the
8 results of the normalized hourly loads that were used --
9 inputs into the production cost model for AmerenUE.

10 Schedule 4 is the same but it's for Ameren, the
11 total system, both UE and CIPS.

12 Q. And could one calculate the net system load
13 normalized for the same period for CIPS by subtracting the
14 AmerenUE load from the Ameren load?

15 A. You can do that on an hourly basis, and you
16 could create a portion of a similar table from these
17 numbers.

18 The monthly usage you could do it direct,
19 subtraction. The monthly piece may not -- you necessarily
20 may not be able to do that with --

21 Q. Okay. But at least for monthly usage, it's
22 that simple?

23 A. Yes.

24 Q. You can take Ameren total, subtract AmerenUE
25 and you get AmerenCIPS?

1 A. That's correct.

2 Q. Okay. Okay. Let's look at a couple of
3 specific months. And I'm looking at -- okay. Let's start
4 with Ameren, and I'm looking at the monthly usage
5 adjustment in megawatt hours. This is shown on Schedule 4
6 for June of 2000. And it looks to me that that number is
7 315,120.

8 Is that correct?

9 A. That's correct.

10 Q. Okay. Then if you flip back to Schedule 3 and
11 look at the same month for AmerenUE, that shows that for
12 June of 2000 the adjustment in monthly usage and megawatt
13 hours is 91,856. Is that correct?

14 A. That is correct.

15 Q. So not being a math wizard, if I was to
16 subtract the 91,856 from 315,120, I would get the monthly
17 usage for that month for CIPS.

18 Right?

19 The monthly weather adjusted usage?

20 A. That is more than just weather adjustment.

21 Q. Okay. What else is in it? All of the other --

22 A. A big one is the fact that I added ADM,
23 Archer-Daniels-Midland.

24 Q. Okay. And we've talked about all of the
25 adjustments you made, so this is at the end of that

1 process.

2 So all of those adjustments lead to adjusted
3 usage for Ameren and UE.

4 So it's not just weather?

5 A. It's not just weather.

6 Q. Okay. But the end result is -- so then if you
7 subtract the 91,856 for AmerenUE from the 315,120, you get
8 an adjusted usage that is adjusted for a bunch of
9 different things --

10 A. Right.

11 Q. -- but primarily weather?

12 A. Probably in this case ADM addition of that load
13 probably dwarfs -- or is bigger than the weather
14 adjustment.

15 You are talking about 200 megawatts -- over
16 200 megawatts every hour in a month, which is 744 hours.
17 That's a large load.

18 That's the reason I had to add it back in,
19 because it is such a significant load.

20 Q. Okay. So the fact that the adjustment -- it
21 seems to me if you subtract those numbers, you end up
22 with, like, maybe 224,000 or so in round numbers?

23 A. 200,000, yeah.

24 Q. Yeah. A little more than 200,000?

25 A. Uh-huh.

1 Q. So your adjustment for AmerenCIPS is more than
2 double the adjustment for Union Electric.

3 In terms of a reasonableness check, does that
4 strike you as reasonable?

5 A. If it was just weather, no, it would not. But
6 the fact that Archer-Daniel-Midland is included where it
7 did not exist before in CIPS load, that -- and I did take
8 the Archer-Daniel-Midland -- I checked it before I added
9 those back in for consistency.

10 And for the major reason that you're -- I
11 looked at these and said, wow, that's a big difference.
12 What is it?

13 And after taking out Archer-Daniel-Midland, I
14 did not see as big an inconsistency.

15 Q. Do you know how big the inconsistency was
16 without Archer-Daniel-Midland?

17 A. I don't know if I have that with me. I don't
18 even know if I pulled it out. I don't believe I printed
19 that out.

20 Q. Do you still have that information, so that if
21 we asked for it in a data request, you could print it out,
22 or has it disappeared into the ethereal air of electronic
23 things that got deleted?

24 A. I don't know. I may still have it. I may have
25 written over the top of it.

1 Q. Would you not delete it if you have it?

2 A. I won't delete it.

3 Q. Okay.

4 A. I mean, it can also be calculated giving the
5 workpapers that I sent you. I have Archer-Daniel-Midland
6 hourly loads that I created, along with the rest.

7 Q. Okay.

8 I note -- you know, the same thing, I guess, is
9 true if you look at the July numbers.

10 Again, the Ameren total monthly usage is
11 340,777 and the UE is 102,665. You know, again, that
12 looks like if you just subtract 102 from 340, it looks
13 like the CIPS adjustment is more than double Union
14 Electric.

15 Is that correct?

16 A. That's what this shows, yes.

17 Q. And, again, I assume that would not be -- if
18 only weather was involved, that would not be a reasonable
19 result; but since the Archer-Daniels-Midland volumes are
20 being added in, that is what makes it not unreasonable.

21 Is that true?

22 A. That's -- that's what my analysis showed.

23 Q. And let me ask you this: Isn't it also true
24 that whatever difference in magnitude -- if there is a
25 greater weather adjustment for CIPS or -- yeah, if you can

1 take Archer-Daniels-Midland out of it and just look at the
2 weather adjustment, if there is a greater weather
3 adjustment for CIPS than UE, you also have to factor in --
4 looking at the reasonableness of that adjustment, wouldn't
5 you also have to factor in the difference in the number of
6 customers being served by each company?

7 In other words, if there are three times more
8 customers served by UE, it means that whatever difference
9 there is, is even greater?

10 A. My analysis for net system input does not look
11 at customer numbers at all.

12 I would agree with you that if you divide that
13 by the number of customers, yeah, it is greater, but that
14 doesn't even enter into my analysis of net system input.

15 Q. I mean, let's say, for example -- let's assume
16 for a second that even after you reverse the adjustment
17 for Archer-Daniels-Midland -- let's say hypothetically
18 that CIPS had an adjustment that was double Union
19 Electric's.

20 Well, if Union Electric has three times as many
21 customers, isn't the effect more like six times as great
22 on the CIPS system than it is on the UE system, or is
23 there a mistake in what I'm saying?

24 A. If you are looking at customers -- if all
25 customers were equal and if the mix of types of customers

1 were the same, I would agree with you, but I do not know
2 that they are the same.

3 Q. And you didn't even look at that factor when
4 determining whether these results were reasonable or not.

5 Is that right?

6 A. No, I did not.

7 Q. Okay. I guess I better do August as well.

8 Looking on the Ameren schedule, which is
9 Schedule 4, for August of 2000, the adjustment is -- it
10 looks like negative 262,252 megawatt hours.

11 Is that right?

12 A. Uh-huh. Yes, that's correct.

13 Q. And then looking at Schedule 3, August of 2000,
14 it looks like the adjustment is negative 364,855?

15 A. That is correct.

16 Q. So by my calculations, CIPS must have had a
17 positive adjustment to move the Ameren -- well, maybe not.

18 I guess CIPS also had -- did CIPS have a
19 negative or positive adjustment?

20 A. It had a positive adjustment.

21 Q. And what would the amount of that positive
22 adjustment be?

23 A. Approximately 100,000 megawatt hours.

24 Q. And so that's different in direction, not just
25 magnitude.

1 Is that right?

2 A. That's right.

3 Q. And would that have been affected by the
4 Archer-Daniels-Midland's loads as well?

5 A. Um, there would be only two days in August
6 without Archer-Daniels-Midland's contract. So that, no,
7 this does not affect this difference here.

8 Q. Okay. So in the month -- just looking at the
9 month of August, you've got a negative -- it's largely
10 unaffected by the Archer-Daniels-Midland that you were
11 talking about before?

12 A. That's correct.

13 Q. Is that correct?

14 A. That's correct.

15 Q. And you show UE having an adjustment of
16 negative 364,855 and CIPS having a positive adjustment of
17 102,603.

18 Doesn't that strike you as -- if you -- if you
19 were doing a reasonableness check, doesn't that strike you
20 as indicative that there might be a problem?

21 A. Yes, it does, but then it also strikes me as a
22 difference in weather.

23 Because CIPS, as you pointed out earlier, has
24 different weather than we do -- than UE does. So that is
25 coming out, then, through the weather normalization,

1 subtracting out the UE from the Ameren.

2 Q. So --

3 A. That's one possible explanation.

4 Q. Did you notice this when you were doing your
5 analysis?

6 A. Yes, I did.

7 Q. Are there any other months where there is an
8 aberration like that?

9 A. Probably most of the rest of the year.

10 Q. So most of the rest of the year there --

11 A. And that was -- and we had the real cold
12 December, at least. I don't know that November was as
13 cold. But we had some extreme weather here in Missouri.

14 I know looking at Cape Girardeau weather
15 lately, they didn't have the same extremes that St. Louis
16 did.

17 Q. So would it be fair to say, then, starting in
18 August there were significant differences not attributable
19 to the Archer-Daniels-Midland load between UE and CIPS and
20 you noticed it?

21 Is that true so far?

22 A. Yes.

23 Q. And you're attributing it to what?

24 A. One possible explanation is the different
25 weather that the people at CIPS affects.

1 Q. Okay. But since you didn't really look at the
2 different weather, you don't know that for sure.

3 Right?

4 A. That's correct.

5 Q. So you're faced with data with a pretty
6 significant aberration and no sure explanation of why that
7 aberration is there.

8 Is that correct?

9 A. That's correct.

10 Q. Okay. Do you know what the MidAmerica
11 Interconnected Network -- also known as MAIN -- is,
12 M-A-I-N?

13 A. I have a general idea, yes.

14 Q. What is it?

15 A. It's a power pool which UE belongs that does
16 their planning and can rely on each other for capacity
17 when needed in energy.

18 Q. It's like a reliability network?

19 A. That's one possible way of defining it, yes.

20 Q. Okay. And how is MAIN related to the National
21 Electric Reliability Council, or NERC, N-E-R-C?

22 A. I have no idea.

23 Q. Okay. Well, I really don't either, but I think
24 NERC is, like, at the top of the pyramid and then MAIN is
25 one of the sort of regional ones.

1 Does that sound like it might be right, or do
2 you not have no idea?

3 A. I don't have any idea.

4 Q. Okay. Do you know if MAIN establishes
5 requirements that Union Electric Company has to follow in
6 forecasting its weather normalized peak load for resource
7 planning purposes?

8 A. No, I do not know.

9 Q. Do you know if MAIN has written requirements
10 for calculating a weather normalized peak?

11 A. No, I do not know.

12 Q. Okay. And I assume you don't know if
13 Union Electric has a legal obligation to calculate a
14 weather normalized peak load in a manner specified by
15 MAIN?

16 A. No, I do not.

17 Q. If they did have that obligation -- if they
18 did have the obligation to calculate their weather
19 normalized peak load in the certain specified manner and
20 plan their -- do resource planning to meet that load,
21 would that fact have an impact on the analysis that you
22 did in this case?

23 A. No, not to my analysis.

24 Q. So it wouldn't matter to you if Union Electric
25 had a legal obligation to plan its resources to meet a

1 peak different than the one you calculated?

2 That wouldn't matter?

3 A. I believe I would have used -- had I known that
4 peak, I would have used that as a reasonableness check.

5 But at the same time that doesn't mean that I would agree
6 with their method of what they require out of AmerenUE.

7 Q. Sure.

8 But you don't even -- I mean, you don't even
9 know that that exists --

10 A. That's correct.

11 Q. -- other than me telling you that?

12 A. That's correct.

13 Q. Let me ask you an order of magnitude, you know.

14 If you used it as a reasonableness check, how
15 far -- and I guess this is an hourly peak for the year?

16 A. Okay.

17 Q. If the hourly peak for the year that UE was
18 required to calculate for MAIN purposes and for resource
19 planning purposes was 100 megawatts higher than the hourly
20 peak on your analysis, would that suggest that -- would
21 that become significant to -- in a reasonableness check?

22 A. No, it would not.

23 Q. How about 150 megawatts, would that become
24 significant?

25 A. Are you talking for AmerenUE or Ameren?

1 Q. For AmerenUE.

2 A. Um, that would cause some concern, but I -- I
3 think it's still within realm of reasonableness.

4 Q. How about a 175 megawatt difference?

5 A. I would have to look -- seriously look at both
6 their number and mine again.

7 Q. Okay. How about a 200 megawatt difference?

8 A. Anything above 2 percent, which would be about
9 160 megawatts, I believe, I would seriously look at it.

10 Q. Okay. Let me ask you this: Aside from the
11 magnitude of the difference, do you see any problem
12 conceptually with Union Electric Company -- assuming --
13 assume this is true -- having to design its system to meet
14 a peak calculated under requirements established by MAIN
15 on the one hand, and having a legal obligation to do that,
16 and then on the other hand having your analysis which
17 feeds into both how the rates are calculated through
18 Jan Pyatte's testimony and the model that Mr. Bender runs
19 being based on a different peak?

20 I mean, shouldn't -- isn't there a problem if
21 they don't match?

22 A. There -- there is no problem -- I would have no
23 concern about the numbers for Janice Pyatte's revenues --

24 Q. Okay.

25 A. -- having -- if the peaks were different.

1 Q. That's not going to affect --

2 A. That's not going to affect the analysis for
3 revenues.

4 Q. My lack of understanding of the difference
5 between a megawatt and a megawatt hour is showing.

6 Okay.

7 A. If what I'm -- I understand your question
8 right, you're talking about a predicted peak.

9 What we have here -- or what I do is weather
10 normalized what actually happened. There is a difference
11 there.

12 The peak is made up of usage that occurred on
13 the day where it was highest. There is weather response
14 in that number. There is response to the time of the
15 year. And in any regression model you have a random,
16 sometimes called error term at the end, which may be
17 positive or negative.

18 So a weather normalized number can be different
19 from a predicted number.

20 If those numbers were different, I would go
21 back and see what kind of prediction I got. But -- and
22 how much it concerned me would be based on the differences
23 and what I show with predicted versus normalized.

24 Q. Okay. Let me ask you this: If there is a
25 difference between your calculation of the peak and the

1 calculation that is done under MAIN, would it be your
2 recommendation that Union Electric should use the peak
3 that you calculated for resource planning purposes?

4 A. No. That's not the objective of what I was --
5 the given objective that I was to do.

6 Q. Okay. So you would still use the MAIN
7 calculation to resource plan or do whatever you were doing
8 absent my calculation?

9 A. Yes.

10 Q. Okay. But if we do use a higher number
11 calculated by the MAIN methodology for resource planning
12 purposes and yet the lower peak feeds into Mr. Bender's
13 model, won't there be -- isn't there a problem there?

14 Isn't there an inconsistency? Isn't there a
15 gap there?

16 A. Again, you're talking predicted versus
17 normalized. And on a predicted going-forward basis, it
18 all has to do with the methodology used to come up with
19 the hourly loads that go into that -- go into that model.

20 Q. What is the difference between predicted and
21 normalized?

22 My understanding is -- again, this goes back to
23 some stuff we were talking about before.

24 My understanding is the goal of normalization
25 is to sort of predict what will happen in the future when

1 the rates are in effect and when the future activity
2 occurs.

3 Isn't that true?

4 Or is there a difference in your mind between
5 normalized and predicted?

6 A. Normalized is adjusted -- it's actual that is
7 adjusted for some known. In this case mostly weather,
8 which is for Ameren or for UE.

9 Predicted does not have that random error term
10 from a regression in it.

11 On any day -- given day there is load that is
12 due to weather, and there is other things that happen that
13 affect the loads.

14 Q. That's the random variable?

15 A. When we normalize, we keep that randomness --
16 whatever caused that load to differ on that day from what
17 would be predicted, we allow that to stay in there because
18 we think that's important.

19 Q. Okay. On another subject that we talked about
20 earlier today, I think you said that -- I don't want to
21 put words in your mouth, so listen carefully and correct
22 me if I'm misstating what you said.

23 But I think you said that it didn't matter that
24 you used Calendar Year 2000 for weather normalized load
25 purposes, because, at least in the short run, if you take

1 the weather out of the equation, it doesn't matter. All
2 of the base periods are going to be about the same.

3 Is that fair?

4 A. That's a fair representation of what I said.

5 Q. And I guess there would be a little bit of
6 change from time to time to reflect a growth factor,
7 whatever growth and load the system experiences.

8 Is that true?

9 A. That is true.

10 Q. And I guess in the longrun, you had said there
11 could be significant technological breakthroughs that
12 change the way heating and air conditioning work, and that
13 would obviously be a significant change, but --

14 A. That's a fair representation, yes.

15 Q. Okay. Do you know what the load growth rate is
16 on Union Electric's system at all?

17 A. No, I do not.

18 Q. How about -- what I have heard -- and tell me
19 if this rings a bell or not -- is it's on the order of
20 1 to 2 percent a year.

21 Does that sound right?

22 A. That would be my guess.

23 Q. Okay. But it's just a guess?

24 A. It's been some time since I saw that number.

25 Q. Is it at least an educated guess?

1 A. Yes, it's an educated guess.

2 Q. Okay. So if you were to take weather
3 normalized loads for, let's say, the last three years, say
4 19-- calendar year 1999, 2000 -- well, that doesn't quite
5 work, does it?

6 How about, you know, year ended June 30th of
7 '99, year ended June 30th of 2000 and year ended June 30th
8 of 2001 and you were to weather normalize those loads, my
9 understanding is the results ought to be about the same if
10 you looked -- if you compared -- let's take January,
11 because I can't get out of my heating mode -- take January
12 of 1999 and January of 2000 and January of 2001 and looked
13 at those weather normalized for all of those years, those
14 ought to be similar except for whatever level of growth in
15 load occurs.

16 Is that fair?

17 A. Unless some other event happened --

18 Q. Sure.

19 A. -- to change --

20 Q. There could always be some other event?

21 A. Theoretically, yes, that's the way it should
22 be.

23 Q. And I guess the same thing putting on my
24 electric company hat, if you took August of -- I guess in
25 my example it would be August of 1998 and August of 1999

1 and August of 2000, again, you ought to see the same -- it
2 ought to be a -- weather adjusted loads ought to be very
3 similar, albeit with a modest growth.

4 Is that right?

5 A. With the growth, yes, that's correct.

6 Q. So for purposes of a reasonableness check, did
7 you look at that at all?

8 In other words, did you look at what your
9 weather normalization loads were from period to period in
10 recent years to see if that modest growth rate existed?

11 A. This is the only time period that I've done
12 weather normalization for AmerenUE, in that time period.
13 So I had nothing else to compare it to.

14 So, no, I did not.

15 Q. What was the time period that you did it?

16 A. October -- to get the year beginning January
17 2000 through December to 2000, I used October of '99
18 through March of 2001.

19 Q. So you could have looked at -- you had
20 duplicate months for some of the period of time?

21 A. Yes.

22 Q. You could have looked at January 2000 to
23 January 2001 or February or March or, I guess, October,
24 November, December, you could have, but you didn't do
25 that?

1 A. No, I did not.

2 Q. Okay. And if you did look at those weather
3 normalized numbers and they showed significant
4 differences, you know -- if, you know -- if it was, you
5 know, far in excess of the order of magnitude of growth,
6 would that would be a fact that would cause you to look at
7 your analysis to see what could be causing that?

8 A. Yes.

9 Q. And if you had, you know, pretty wild swings --
10 and I guess the order of magnitude that I'm talking about
11 is 20, 25 percent swings, say, from one -- you know,
12 January 1 of one year to January the next year or
13 February 1 of one year to February the next year, weather
14 normalized, if those kind of swings occurred and if they
15 could not be explained by an extraordinary event, wouldn't
16 that suggest that there is a problem with your analysis?

17 A. Either with the analysis or the data that was
18 used --

19 Q. Okay.

20 A. -- that is input into the analysis.

21 It could be the UE billing system.

22 Q. But something is wrong if you're seeing swings
23 like that?

24 A. Yes, something would definitely be wrong.

25 Q. And it's possible that the something that could

1 be wrong is the weather normalization methodology?

2 A. That's correct.

3 Q. Okay. Did you talk to any Staff members about
4 your testimony before you wrote it or about your analyses
5 as you did them?

6 A. I discussed the weather adjustment to sales and
7 the sales numbers that I recommended, I discussed those
8 with Janice Pyatte, and that would be just about it. I
9 don't know that I discussed it with anybody else.

10 Q. Okay. I'm assuming from that answer that you
11 didn't get any direction from anybody about what your
12 testimony ought to say or anything, did you?

13 A. No, I did not.

14 Q. They just said, do the weather analysis?

15 A. That's correct.

16 Q. Okay. Nobody suggested what the result of the
17 analysis should be or anything?

18 A. No, they did not.

19 Q. No one tried to influence your results or
20 anything?

21 A. No.

22 Q. Okay. And then I assume you developed drafts
23 of your testimony?

24 A. Yes.

25 Q. Who would have reviewed the drafts of the

1 testimony?

2 A. Um, Dennie Frey, Steve Dottheim, Janice Pyatte
3 reviewed it, and I believe Doyle Gibbs and maybe Greg
4 Meyer would have been on -- I think that is who is listed
5 in my interrogatories.

6 Q. It's just -- I can look at the interrogatories.
7 It's just whoever is there.

8 A. Yes.

9 Q. Did any of those people suggest that you change
10 your testimony from one draft to the next?

11 A. Not substantially, no.

12 Q. I guess they would catch grammatical problems
13 and things like that?

14 A. Yes.

15 And sometimes, you know, they would say, this
16 sentence doesn't make any sense. Can you rewrite it so it
17 makes sense?

18 Q. They never said you were being too nice to the
19 company, be a little meaner?

20 A. No. And look what it got me.

21 Q. You may have answered this already. I
22 apologize if that's the case.

23 But did you consider -- in a lot of respects
24 your testimony follows traditional Staff positions, using
25 30 years of data, using the rank and average method.

1 Did you ever consider deviating from those
2 methods in your analysis, or were you pretty much just
3 going to follow what the traditional Staff analysis has
4 been?

5 A. I'm always open to new and better ways of doing
6 things.

7 The fact that we've used HELM rather than our
8 method is one example. I've yet to be showed or find
9 anything that is better than what I used here.

10 Q. Do you think you would have been permitted to
11 file an analysis that is significantly deviated from the
12 Staff's practice?

13 You know, would you have been -- for example,
14 been permitted to use another weather normalization -- and
15 maybe that's not even the right term -- but another method
16 beside the rank and average method, or is the Staff pretty
17 much committed to that so that you'd have to give an
18 awfully good reason to deviate from it?

19 A. I would be allowed to deviate.

20 Q. And how about using 30 years of weather data,
21 do you think you would be allowed to deviate from that if
22 you thought it was appropriate?

23 A. If I thought it was appropriate and could
24 convince others in the Staff.

25 That is not my area of expertise, so, you know,

1 it would have to be reviewed and analyzed by others in the
2 Staff. But if I came up with something better --

3 Q. They would listen to you?

4 A. -- they would listen, yes.

5 MR. BYRNE: Okay. I don't think I have any
6 more questions, but can I have just a minute to make sure
7 of that?

8 Can we go off the record?

9 (OFF THE RECORD.)

10 MR. BYRNE: I don't have any more questions.

11 Thank you very much for your patience today.

12 THE COURT REPORTER: Waive presentment; obtain
13 signature?

14 MR. FREY: Yes.

15 (SIGNATURE ON THE FOLLOWING PAGE.)
16
17
18
19
20
21
22
23
24
25

1
2
3 (THIS IS THE SIGNATURE PAGE TO THE DEPOSITION
4 OF LENA MANTLE TAKEN ON NOVEMBER 20, 2001.)
5

6
7 _____
LENA MANTLE

8 subscribed and sworn to before me this day of
9 2001.

10 _____
11 Notary Public in and for
12 County
13 State of Missouri
14
15
16
17
18
19
20
21
22
23
24
25

COPY

1 STATE OF MISSOURI)
) ss.
2 COUNTY OF COLE)
3

4 I, Patricia A. Stewart, RPR, CCR, CSR,
Registered Merit Reporter with the firm of Associated
5 Court Reporters, Inc. do hereby certify that pursuant to
notice, there came before me,

6 LENA MANTLE,

7 at the Governor Office Building, Room 210, in the City of
Jefferson, County of Cole, State of Missouri, on the 20th
8 day of November, 2001, who was first duly sworn to testify
to the whole truth of her knowledge concerning the matter
9 in controversy aforesaid; that she was examined and her
examination was then and there written in machine
10 shorthand by me and afterwards typed under my supervision,
and is fully and correctly set forth in the foregoing
11 pages; and the witness and counsel waived presentment of
this deposition to the witness, by me, and that the
12 signature may be acknowledged by another notary public,
and the deposition is now herewith returned.

13 I further certify that I am neither attorney
14 nor counsel for, nor related to, nor employed by any party
to said action in which this deposition is taken; and
15 further, that I am not a relative of employee of any
attorney or counsel employed by the parties hereto, nor
16 finally interested in this action.

17 Given at my office in the City of Jefferson,
State of Missouri, this 21st of November, 2001.

18
19
20 Patricia A. Stewart
Patricia A. Stewart, RPR, CSR, CCR
21 Registered Merit Reporter
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

November 20, 2001

Public Service Commission
Governor Office Building
Jefferson City, Missouri 65101

ATTN: Dennis L. Frey

In Re: Case No. EC-2002-1

Dear Mr. Frey:


Please find enclosed your copy of the deposition of
Lena Mantle taken on November 20, 2001 in the
above-referenced case. Also enclosed is the original
signature page and errata sheet.

Please have the witness read your copy of the transcript,
indicate any changes and/or corrections desired on the
errata sheet, and sign the signature page before a notary
public.

Please return the errata sheet and notarized signature
page to Mr. Byrne for filing prior to trial date.

Thank you for your attention to this matter.

Sincerely,


Patricia A. Stewart

Encl:

CC: Thomas Byrne