

1 A. Yes.

2 Q. Is that right? And where do you get that  
3 information to fill in the blanks?

4 A. Well, I have this listed on my schedule in the  
5 back of my testimony, schedule one.

6 Q. Okay. Let's look at schedule one. It says fuel  
7 prices were supplied by staff of John Cassady; is that  
8 right?

9 A. Yes.

10 Q. Do you know where he got those fuel prices?

11 A. No, I do not.

12 Q. Did you do any independent analysis of those fuel  
13 prices as to their -- anything about them?

14 A. I looked at them to make sure I had the fuel  
15 prices I needed to enter into the model, but I did no  
16 analysis to whether they were correct or incorrect.

17 Q. So if he gave you a fuel price on fuel oil of \$2 a  
18 gallon, and in fact, that's inaccurate; it was \$20 a gallon,  
19 would you know that?

20 A. I would notice it was -- yes. I would notice that  
21 was high and probably ask him about it.

22 Q. If he gave you a price of \$2 a gallon and that was  
23 a typo; it should have been \$3 a gallon, would you notice  
24 that difference?

25 A. No, I would not.

1 Q. And what do you base your ability to make that  
2 judgment?

3 A. Just past model runs that I have made. I know  
4 what the range of prices should be.

5 Q. All right.

6 A. It may be within a certain range. I don't know  
7 the exact number, but as long as it is in that range, it may  
8 seem reasonable.

9 Q. Can you -- what kind of price of coal would you  
10 see in information from John Cassady?

11 A. Just off the top of my head, I would say it is  
12 somewhere around a dollar per BTUs.

13 Q. He provides it to you in cost per BTU; is that  
14 correct?

15 A. Yes.

16 Q. Is all fuel given to you in that format?

17 A. Yes.

18 Q. Do you do any independent analysis as to whether  
19 or not the math has been done correctly by whoever did it  
20 originally to see if the cost per BTU is accurate?

21 A. No. I do not see those numbers.

22 Q. Do you know whether or not the cost per BTU of  
23 coal differs from one power plant to another?

24 A. Yes, it does.

25 Q. Also on schedule one you have unit maintenance

1 history. You indicate that's supplied to -- by UE data  
2 request response to the staff; is that right?

3 A. Yes.

4 Q. So do you take that information yourself from the  
5 data request response and put it in the model?

6 A. Yes, I do.

7 Q. Same thing with generation unit specific data?

8 A. Yes, I do.

9 Q. Does that information always come from Union  
10 Electric in the format that you need, or do you sometimes  
11 have to follow up?

12 A. Sometimes I have to follow up. I have never  
13 submitted DRs to UE before this case.

14 Q. The weather normalized hourly load, you indicate,  
15 is supplied by staff, Lena Mantle; is that right?

16 A. Yes.

17 Q. Do you do any independent analysis of that?

18 A. I examine the numbers the model is capable of,  
19 graphing -- it depends on what you call an analysis. I  
20 mainly just examine numbers to make sure you have a load for  
21 every hour and there are no zero loads and none of the loads  
22 are extreme, what I would consider extreme loads, to make  
23 sure the loads seem reasonable.

24 Q. And what variation would cause you to think that  
25 something is extreme?

1           A.   Well, if I saw a zero in one hour, that would be  
2 extreme, because there is usually always a load in every  
3 hour.

4           Q.   Are these -- is this a total system load that you  
5 are getting, or is this broken down by units, power plants?

6           A.   This is a total weather normalized load.

7           Q.   Purchase power contracts, capacities and prices,  
8 you indicate comes from 4CSR240-20.080 data; is that right?

9           A.   Yes.

10          Q.   What is that?

11          A.   That is a monthly report we get from the utilities  
12 that 4CSR24020.080 is the monthly data that the utility  
13 submits to us.

14          Q.   And that data includes what information?

15          A.   Data includes purchases, sells, unit outages.  
16 There are other data that I can't remember right now.

17          Q.   I believe you said you started working on the  
18 project on June 2, and June 21 was the first initial run.  
19 After completing the input, do you finally get to a point  
20 where you push a button and an answer comes out?

21          A.   Yes. Essentially, you try to see if the model  
22 will run.

23          Q.   Somewhere along the line you press enter, click  
24 the mouse or something, and you get an answer.

25          A.   The program actually has a go button, and you push

1 the go button. It's a Windows oriented program.

2 Q. How long does it take it to think before you get  
3 an answer?

4 A. Since I have upgraded my computer, it doesn't take  
5 long. A few minutes.

6 Q. Okay. And what does the output look like?

7 A. Well, there are many output screens. I have one  
8 here. There are various output tables that can be printed.  
9 We print them either hourly or daily or monthly or yearly.

10 Q. All right. Pages with lots of numbers, right?

11 A. Yes.

12 Q. You have indicated, on page two of your testimony,  
13 that the results of the production cost model simulation  
14 show that the normalized cost of fuel and net purchase power  
15 for the test year is \$343,785,940; is that right?

16 A. That is correct.

17 Q. Does that number actually show up at the bottom of  
18 some piece of paper that you print off the screen?

19 A. Yes, it does.

20 Q. All right. So you don't have to take a bunch of  
21 numbers and do a hand calculation?

22 A. No, I don't.

23 Q. After you push the go button and you get that  
24 number, do you do anything else with it before you give --  
25 gave that to John Cassady?

1 A. No, I don't.

2 Q. You indicated that there are many screens that --  
3 I think you indicated that there are many screens that the  
4 computer program or the simulation provides as output; is  
5 that right?

6 A. Yes.

7 Q. Do you examine those individual screens?

8 A. Yes, I do.

9 Q. And why do you do that?

10 A. Well, I examine the numbers to see if they are  
11 reasonable to see if I need to adjust my input.

12 Q. To see if you need to adjust your input?

13 A. To see if I need to adjust my input to see whether  
14 the numbers -- output is reasonable.

15 Q. In answer to the previous question, you said you  
16 didn't do anything before you gave that to John Cassady. Do  
17 you look to see if it is reasonable before you give it to  
18 him, or do you give it to him and do a check after that  
19 or --

20 A. I usually look at it before I give it to him.  
21 Yes.

22 Q. How would you know if something was unreasonable  
23 or if you had a problem that required you to adjust the  
24 input?

25 A. Well, as I said before, there are many screens,

1 many outputs that we look at, and it just depends on -- it  
2 just depends upon the problem that I looked at.

3 I compare the outage hours to see if they are  
4 close to what I have input. I compare -- I look at the  
5 planned maintenance outages to see whether they are what I  
6 input. I look to see whether units are generating close to  
7 what they should be generating. I look at the unit starts.

8 Q. What do you look at there?

9 A. Well, if a unit is cycling on and off excessively,  
10 there will be too many unit starts, and there may be  
11 something in the model that's causing that to do that that I  
12 need to adjust.

13 Q. How do you know what excessive is on unit starts?

14 A. On unit starts? I don't get numbers from the  
15 utility on unit starts, so it is just an experience with  
16 that.

17 Q. And where does that experience come from?

18 A. From past modeling experience with the Commission,  
19 running this model.

20 Q. So if the number of unit starts there seems to be,  
21 quote, reasonable in regard to what you have seen  
22 previously, you would consider that okay.

23 A. Yes.

24 Q. Do you have any independent experience at power  
25 plants knowing what an excessive amount of unit starts would

1 be?

2 A. I worked at Arkansas Nuclear One, which is a  
3 nuclear power plant, and I know that the nuclear power  
4 plants try to limit the number of starts, the number of  
5 cycles in a unit.

6 Q. If you've got more than one start in a year, that  
7 is not a good thing at a nuclear plant, is it?

8 A. That is true.

9 Q. What about fossil plants? Have you had any  
10 experience with them?

11 A. Just from working in the industry for years. I  
12 haven't actually worked at a fossil plant.

13 Q. Anything in your working in the industry give you  
14 a particular knowledge about the number of starts that a  
15 particular type of power plant would have before considered  
16 excessive?

17 A. No.

18 Q. You indicate that you do a check to see the amount  
19 of generation that the output shows. Is that listed per  
20 unit or per power plant?

21 A. Per unit.

22 Q. Per unit. And what do you compare that to to  
23 determine -- I think you said compared to what they should  
24 be getting or what they should be generating, what do you  
25 use to compare the information that's in the output to come



1 to that conclusion?

2 A. We get a -- I believe in one of the DRs we have an  
3 answer to that Ameren UE supplied us with the generation of  
4 each unit for the last ten years, and I have averaged those  
5 in five years, but I look at the generation to see how it  
6 compares to what the unit has been generating to see if the  
7 model is overgenerating or undergenerating.

8 Q. And at what point would you decide that there was  
9 a problem?

10 A. If the model is excessively overgenerating a unit  
11 by more than five to ten percent -- that's just a round  
12 number -- then I will look at that and try to figure out why  
13 the model is doing that.

14 Q. And that's -- five or ten percent is comparing the  
15 output of the model run to the five year averages that you  
16 mentioned.

17 A. Yes.

18 Q. So if the model indicates that a unit is running  
19 25 percent more in the test year or the year that you are  
20 looking at, then the average you -- what do you do about  
21 that? Is that a problem that would attract your attention?

22 A. Yes, it would.

23 Q. And what would you do about that?

24 A. I would try to determine what in the model was  
25 causing that to happen.

1 Q. Did you find any such differences in your run in  
2 Ameren's case?

3 A. Yes, I did.

4 Q. And what did you do about that?

5 A. Well, unfortunately, I found those too late to  
6 make an adjustment. We did know one unit was overgenerating  
7 and a couple units were undergenerating at the time of the  
8 filing, but we did not know what was causing that, and we  
9 did not have time before the filing to correct that.

10 Q. Do you mention that in your testimony?

11 A. John Cassady did in his testimony. I am not sure  
12 if that is in his testimony or in his Interrogatories.

13 Q. Interrogatory.

14 A. In his Interrogatories.

15 Q. I thought I saw something. Do you have a copy of  
16 the Interrogatories with you?

17 A. Yes, I do.

18 Q. Would you look at 95A please, which I believe is  
19 an answer prepared by John Cassady, page 90 I believe. In  
20 the middle of the staff response, I believe, it says, quote,  
21 subsequent to the staff's direct testimony filing, it was  
22 discovered that the economic loading order of the filed fuel  
23 run was not correct. Staff filed fuel run loads -- staff  
24 file fuel run loads the more expensive Meramec plant before  
25 the less expensive Sioux plant; is that correct?

1           A.    Yes, that is correct.

2           Q.    And did John Cassady discover that, or did you  
3 discover that or --

4           A.    I think we discovered that together while looking  
5 at the runs.

6           Q.    Have you found any other examples of significant  
7 enough variations between the model's output and your five  
8 year average since this?

9           A.    No, I haven't.

10          Q.    Have you continued to look, or have you looked  
11 again?

12          A.    Yes.  We have been constantly -- because we are  
13 trying to complete the hourly report we described in the  
14 back of my testimony, we have been constantly working with  
15 the model to update it to do this.

16          Q.    When you find a situation where you think there  
17 had been a problem, can you tell whether that problem  
18 occurred because of, nothing personal, operator error or  
19 whether something went wrong with the computer process  
20 itself or whether the information that you were given was  
21 wrong?

22          A.    Well, I look at all the information, whether -- it  
23 is a possibility -- there is always a possibility I typed in  
24 the wrong number.  It is a possibility I was given the wrong  
25 number.  It's a possibility I used the wrong number.

1 Q. Have you ever run across a situation where you  
2 have determined subsequently that there was something wrong  
3 with the model?

4 A. Something wrong with the model itself?

5 Q. Right.

6 A. No, I haven't.

7 Q. Is it correct that you use a historical time  
8 period for your simulation run? In other words, the  
9 information that you put in is all historic; is that  
10 correct?

11 A. Yes.

12 Q. And does all the information that you put in come  
13 from a particular time period?

14 A. Yes, it is.

15 Q. And is that usually a 12 month period?

16 A. Yes, it does.

17 Q. And in this case you used the calendar year 2000;  
18 is that right?

19 A. Yes, I did.

20 Q. When you put that information in the model, was  
21 all of it from the year 2000?

22 A. Well, I will clarify that. The outages that we  
23 use are a five-year average outage.

24 Q. All right. And is that a specific per unit  
25 average?

1 A. Yes, it is.

2 Q. In other words, you average five years of outages  
3 for Labadie 1 and five years of outages for Labadie 2.

4 A. Yes.

5 Q. Same five year period for all units?

6 A. For all the major units. I don't do that for the  
7 CTs in my units.

8 Q. You don't do what?

9 A. I don't -- I did not put in the average outages  
10 for the CTs.

11 Q. You just use what?

12 A. For the major units.

13 Q. What do you use for the CTs?

14 A. I believe in this case I just used what Tom had  
15 already built into his model.

16 Q. So you don't know where that came from.

17 A. I do not know where that came from.

18 Q. Why do you use a five year average instead of the  
19 actual year that you are looking at for your major units?

20 A. Well, most of your major units will have major  
21 outages every five years, and in order to spread those hours  
22 out over the years, we use the five year average. This way  
23 it gives the company a credit for those hours.

24 Now, also there may be some type of abnormal  
25 situation that may have happened to a power plant this year

1 that may never reoccur for the next ten years or next five  
2 years.

3 Q. Why is it important to do that? Why do you care  
4 whether or not all that's taken into account?

5 A. I would like to have the closest normalized fuel  
6 as I could get, and I don't want to run an abnormal year.

7 Q. Why not?

8 A. I don't want to use the outages in an abnormal  
9 year. For all I know, 2000 was an abnormal year, and I  
10 don't want to use an abnormal year.

11 Q. Why not?

12 A. This would give me an inaccurate number, would not  
13 give me a normal number.

14 Q. Why do you want a normal number?

15 A. I think it would be difficult to base rates upon  
16 basing them on an abnormal year.

17 Q. You understand that rates are based on the output  
18 of your model run; is that right?

19 A. No. I understand that rates are based -- I  
20 understand that my results of my model run is one of the  
21 inputs that go into the accountant's numbers.

22 Q. And those numbers are used to set the company's  
23 rates; is that right?

24 A. I assume that. Yes.

25 Q. Do you know when those rates are to be in effect?

1 A. No, I do not.

2 Q. Do you know if those rates are to be in effect in  
3 the future or the past?

4 A. No, I do not.

5 Q. You don't. Okay. What five year average did you  
6 use?

7 A. I used five years ending year 2000.

8 Q. Including 2000.

9 A. Including 2000.

10 Q. Did you determine that the year 2000 was an  
11 abnormal year?

12 A. No, I did not.

13 Q. Did you determine that it was not an abnormal  
14 year?

15 A. No.

16 Q. You made no such determination.

17 A. I made no such determination.

18 Q. Do you compare, even in a very general sense or at  
19 a superficial level, the output that you get against the  
20 actual 2000 numbers from the company?

21 A. I have those numbers, and I do look at those  
22 numbers. Yes. But I don't make a mathematical comparison  
23 to it. No.

24 Q. Why do you look at them?

25 A. Just to see the range that those units have been

1 generating, to see if I am in the right range, see if the  
2 output is in the right range.

3 Q. Okay. A few minutes ago we talked about the fact  
4 that you would compare your output versus a five year  
5 average, and if there was a deviation of more than five or  
6 ten percent, you would notice that.

7 A. I would do that too.

8 Q. You do this to the year 2000 as well.

9 A. Yes, I would -- well, no. Just compare it to -- I  
10 just look to see if it is in that range.

11 Q. All right. And if you see --

12 A. To see what the unit had been doing that year. I  
13 make no judgment.

14 Q. Is there a deviation that would be so significant  
15 that would cause you to do something?

16 A. No, there is not.

17 Q. Let me try to make sure you heard the question I  
18 asked. I didn't ask if there was a deviation in this case,  
19 but is there possibly such a deviation that would cause you  
20 to say I need to look at that and figure out why, comparing  
21 the output versus the actual for the test year?

22 A. If there is an extreme deviation, I would probably  
23 wonder why. Yes.

24 Q. Have you ever seen such a deviation in this or any  
25 other case that you have done?



1 A. No, I haven't.

2 Q. Will the output from the model run be so specific  
3 as to tell you the generation levels of a particular power  
4 plant for the year?

5 A. Yes, it does.

6 Q. And would it tell you the output of generation for  
7 a particular unit for the year?

8 A. Yes, it does.

9 Q. Does it tell you the output by month?

10 A. Yes, it will.

11 Q. In the analysis or the checking that we were  
12 talking about a few minutes ago of the output versus the  
13 actual from 2000, do you look at that by unit?

14 A. Yes, I do. Well, except for Meramec. I have to  
15 clarify that. The data I got from Ameren UE was -- included  
16 the Meramec plant. It did not include the Meramec units.  
17 So I have to total those up. I don't have the specific  
18 information for each unit.

19 Q. All right. I think you testified that there were  
20 no variations in the output as compared to the actual for  
21 2000 that caused you to look a second time at anything; is  
22 that right?

23 A. Well, in this case, as stated earlier, we did know  
24 that the Meramec and Sioux plant generations were not  
25 normal, and we were going to correct those.

1 Q. Did that discovery come about when analyzing  
2 the -- or comparing the output versus the actual 2000 or  
3 comparing it against the five year average?

4 A. When we looked at the actual 2000.

5 Q. Did you reach a determination as to what the  
6 problem was there?

7 A. Yes, I did.

8 Q. What is that?

9 A. Well, I used the same minimum of up times, up time  
10 inputs.

11 Q. Ump times?

12 A. Up, U-P.

13 Q. Up. I'm sorry.

14 A. Up.

15 Q. Thank you.

16 A. Up times that Ameren UE had used in its Prosym  
17 model, and this was causing one of the units -- I am not  
18 sure which -- to stay on longer than it should  
19 modeling-wise.

20 Q. One of the units at which plant? Do you know?

21 A. I don't remember which one. I subsequently  
22 submitted a DR to UE to have them clarify their minimum up  
23 times and down times.

24 Q. Did you discover any other variations that caused  
25 you concern or caused you to look elsewhere for an answer

1 like when you compared the model's results with either the  
2 actual results or the five year average?

3 A. Yes, I did. I compared -- the model, if you put  
4 in a maximum capacity, will try to run that unit at its  
5 maximum capacity if it is cost effective to do so, and I  
6 compared that maximum capacity with what the power plants,  
7 the 20.080 data, with what the power plants were actually  
8 generating.

9 I noticed that Ameren was not running its plants  
10 at maximum capacity. So there is a -- there is an input to  
11 the model that I can adjust that.

12 Q. You haven't done that yet.

13 A. I have done that.

14 Q. So will that be included in your next --

15 A. That will be included in our update.

16 Q. Excuse me a minute while I decide if I need to ask  
17 some of these questions or if we have already gone through  
18 them.

19 (Wherein, a brief recess was taken, and Mr. Cynkar  
20 left the deposition).

21 Q. (By Mr. Cook) Mr. Bender, as part of the  
22 reasonableness check or whatever you want to call it that  
23 you do after the model run is complete, if -- would you  
24 notice, I guess, would you notice that the model assumed a  
25 level of generation for a unit that the unit had never

1 reached?

2 A. If the model overgenerated, I assume your question  
3 is if the model overgenerated a specific unit. Yes, I would  
4 notice that.

5 Q. Would you consider that a problem?

6 A. Yes, I would.

7 Q. Let me ask you about purchase power prices. Is  
8 that an input into your model?

9 A. Yes, they are.

10 Q. And then I assume there is a certain output that  
11 tells you what purchase power prices the model has now  
12 assigned or presumed would be used; is that right?

13 A. Yes, there is.

14 Q. Do you do any type of true up to the actual bill  
15 prices that the company experienced in a particular year?

16 A. I do not.

17 Q. Do you know whether or not the input prices that  
18 you receive from the company include estimates?

19 A. I do not.

20 Q. Does the -- the model should include all units  
21 that are available to Union Electric or to Ameren; is that  
22 right?

23 A. During the period that I run the model in, yes,  
24 that are regulated.

25 Q. Right. Do you know whether your model included

1 Taum Sauk, T-A-U-M S-A-U-K?

2 A. Yes, it did.

3 Q. Let me show you something and ask you if we are  
4 missing something. Let me show you what I believe is one of  
5 your work papers that you provided to us.

6 It is a -- actually, it is three papers. One of  
7 them is entitled UE CIPS complaint case EC 2002-01, and off  
8 to the side it says, energy generated (MWH). If you look at  
9 that, please, and I think near the bottom there is a section  
10 called hydrounits, and you have Keokuk and Osage.

11 A. Yes.

12 Q. And then I have another one here. This is a two  
13 page energy generated. I think the first one I gave you is  
14 UE, and the second one I think is all of Ameren, and the  
15 same thing on there, it's hydrounits, Keokuk and Osage. Do  
16 you know whether Taum Sauk appears elsewhere?

17 A. It doesn't appear on this sheet.

18 Q. Okay. But to your understanding, it should be and  
19 you believe is included in your model run.

20 A. In the model run that I have here, it is listed as  
21 pumped storage. Why it does not show up on your sheet, I do  
22 not know.

23 Q. All right. In that model run that includes pumped  
24 storage --

25 A. Yes.

1 Q. -- is there a total cost for production cost at  
2 the bottom?

3 A. Yes, there is.

4 Q. What is that number?

5 A. 34378594.

6 Q. All right. Well, let's --

7 A. Perhaps --

8 Q. Let me suggest that off the record afterwards if  
9 you and Mr. Finnell can look and see what the differences  
10 between what you have and what we have, because we have the  
11 same bottom number apparently but not --

12 MR. FINNELL: I got 82403.

13 THE WITNESS: That's what this says too.

14 MR. FINNELL: Alphabetical.

15 THE WITNESS: Yes, it is. Are these the files  
16 that I sent you?

17 MR. FINNELL: Yeah.

18 (Wherein, an off the record discussion was held.)

19 MR. COOK: It appears, after a brief discussion  
20 off the record, that what looks like the very same documents  
21 that you have and we have, ours does not have Taum Sauk, but  
22 the bottom line number is the same, and Mr. Bender and  
23 Mr. Finnell will look and see if we can figure that out.

24 Q. (By Mr. Cook) Mr. Bender, you testified that  
25 included in your model run are scheduled outages; is that

1 right?

2 A. Yes.

3 Q. And the information that you use for those  
4 scheduled outages comes from a -- based on a five year  
5 average; is that right?

6 A. No. For the scheduled outage, I actually use the  
7 UE -- a typical UE 2000 outage schedule. This is it right  
8 here in fact. Power plants measure unit outage schedule.  
9 It's dated December 11, 2000.

10 Q. So for your model run you -- well, is that actual,  
11 or is that actual planned, or actual historic?

12 A. I'm sorry. To build my outage schedule, I used  
13 this outage schedule as a reference. The number of outage  
14 hours that I made an outage to last was based on a five year  
15 average.

16 Q. Okay. So the length of the outage is based on the  
17 five year average.

18 A. Yes.

19 Q. Is that per unit?

20 A. Per unit.

21 Q. Specific average per unit.

22 A. Right.

23 Q. And then what do you use that particular piece of  
24 paper for?

25 A. I use this as a reference so I can see the way UE

1 schedules its plants.

2 Q. What do you mean by "the way UE schedules its  
3 plants"?

4 A. The timing that Union Electric has used to  
5 schedule its plants whether it scheduled it to start in May  
6 or February or any other month.

7 Q. So its your understanding that your model would  
8 include a timing of those schedules pursuant to the  
9 company's planned outage schedule that it developed in  
10 advance; is that right?

11 A. Yes.

12 Q. Now, the model run, I believe you indicated, in  
13 effect, it dispatches the units in the least cost manner; is  
14 that right?

15 A. Yes, it does.

16 Q. That means that each hour the model determines the  
17 most efficient way to dispatch the units to meet the load of  
18 that hour; is that right?

19 A. Yes.

20 Q. Generally. And to make that determination, the  
21 model needs to know what the costs are that are associated  
22 with each unit; is that right?

23 A. Yes.

24 Q. What information do you use to tell? What do you  
25 tell the computer? What input do you do to tell us what



1 costs to use?

2 A.. One input is fuel cost.

3 Q. All right.

4 A. Another input is heat rate for that unit.

5 Q. All right.

6 A. Another input is emissions cost.

7 Q. Emissions cost.

8 A. Yes.

9 Q. Uh-huh. All right.

10 A. Another input is variable O and M costs, operating  
11 and maintenance cost.

12 Q. All right.

13 A. Also another input is the start-up cost.

14 Q. Okay.

15 A. I believe that's all.

16 Q. Are these average costs? In other words --

17 A. Which costs?

18 Q. On emissions costs, how do you determine what the  
19 emissions cost is for Labadie unit 2?

20 A. The emissions cost we actually got from Union  
21 Electric in the DR response.

22 Q. And is there -- do you know if there is a  
23 difference in emissions costs depending on the day of the  
24 month or the time of the day that the unit is being  
25 operated?

1           A.    The emissions costs are included on a monthly  
2 basis with the cost of the fuel.

3           Q.    So there is an average emissions cost per hour  
4 that is assigned to a particular unit.

5           A.    I don't know how it figures it on an hourly basis.

6           Q.    Do you know whether there is any -- whether the  
7 input includes a difference in emissions cost of one hour  
8 versus another hour?

9           A.    No, I don't.

10          Q.    You don't make any such specific input that you  
11 are aware of.

12          A.    Not on an hourly basis, no.

13          Q.    Anything?

14          A.    It is possible to do that, but I don't do that.

15          Q.    What about heat rate? Does that vary by hour?

16          A.    It is also possible to do that, but we do not do  
17 that. I do not do that.

18          Q.    What about fuel costs? Does that change by the  
19 hour?

20          A.    It is possible to do that, but the fuel costs I  
21 input are the costs that John Cassady gave me.

22          Q.    And is that one number for a month or --

23          A.    I would have to look. I believe we have one  
24 number for each month.

25          Q.    All right.

1           A.    If the number was the same for two months in a  
2 row, I may not put a number in that month, because it will  
3 continue to use the last month until -- it will continue to  
4 use the same number until it is changed.

5           Q.    You don't -- I mean, you do know -- let me  
6 rephrase that. Are you saying that you do not put in a  
7 different cost of fuel for each hour of the month for a  
8 particular unit?

9           A.    Yes. That's true. I do not put in a fuel cost  
10 for each hour of the day.

11          Q.    And do you know whether or not the model adjusts  
12 that cost of fuel itself for any purpose?

13          A.    No. The model does not adjust the cost of the  
14 fuel other than in the subroutines that it runs to calculate  
15 its cost, and I don't know what those are.

16          Q.    Would the fuel costs for Labadie 2 be the same for  
17 any hour in the month of August the Labadie 2 is shown to be  
18 running in your model?

19          A.    If I have put in a monthly price, I am assuming  
20 that it will use that price for every hour in that month.

21          Q.    What does the term normalization mean?

22          A.    Normalization, as I understand it, is to eliminate  
23 nonrecurring items from a period of time.

24          Q.    And why would you want to normalize something?  
25 Let's assume we are talking about a rate case here. Why

1 would you want to normalize?

2 A. You would not want to model an abnormal year,  
3 because rate payers may be paying excessive rates if we  
4 model an abnormal year, and by the same token, the  
5 company -- if we model an abnormal year, the company may not  
6 be getting enough return in that year.

7 Q. Do you normalize anything in the work that you do  
8 and have done for this case?

9 A. I use -- no, I have not.

10 Q. Does the -- is the effect of any decisions that  
11 you've made on what input to put into the model have the  
12 effect of normalizing anything?

13 A. I think the effect of using the five year outage  
14 average has, in effect, normalized the run.

15 Q. Okay.

16 A. Also, we use normalized -- weather normalized  
17 loads.

18 Q. All right. You don't do the weather normalization  
19 yourselves.

20 A. No, I do not.

21 Q. Let me rephrase the question then. What type of  
22 normalization is -- what things are normalized in the  
23 staff's filing this case that you're aware of that you deal  
24 with? You indicated that the five year outage average has a  
25 tendency to normalize outages as weather normalization that

1 is provided to you. Is there anything else?

2 A. Those are the only effects I know of.

3 Q. Is there an attempt to normalize fuel costs?

4 A. I don't know what Mr. Cassady has done with the  
5 fuel cost.

6 Q. Purchase power costs. Are those normalized?

7 A. Purchase power cost. We use actual 2000 year data  
8 for this.

9 Q. All right. Are you familiar with the term known  
10 and measurable changes in the context of a rate case?

11 A. Yes, I am.

12 Q. Do you have an opinion on whether known and  
13 measurable changes should be taken into account when setting  
14 rates?

15 A. Well, I don't set rates, but if there is a known  
16 and measurable change in anything in the model, I will make  
17 that change.

18 Q. All right. Do you understand the concept of a  
19 prudence disallowance or imprudence disallowance in rate  
20 making?

21 A. That's terminology I wouldn't use. I am not  
22 familiar with that.

23 Q. So you have made no recommendations for a  
24 disallowance for imprudence in this case?

25 A. No, I have not.

1 Q. In comparing the results of your production cost  
2 model run and the company's actual experience for the year  
3 2000, did you discover anything that you believe the company  
4 was imprudent about?

5 A. No, I did not.

6 Q. Do you believe it is appropriate for the  
7 Commission or its staff to interfere in the management of a  
8 company that it regulates?

9 A. I don't know that I am qualified to answer that  
10 question.

11 Q. Is it true that you -- well, do you believe that  
12 you have a right or a duty to interfere in the management of  
13 a company?

14 A. No, I do not have that right.

15 Q. Do you believe it is appropriate for a Commission  
16 to punish a company for bad management?

17 A. I don't know a case that that has ever been done.  
18 I don't have an opinion on that.

19 Q. Do you believe it is appropriate for a Commission  
20 to reward a company for good management?

21 A. I would give the same answer.

22 Q. You indicated earlier that you were aware in this  
23 case of normalization, either direct or the effect of  
24 something is to normalize for weather outages and that sort  
25 of thing. Do you also normalize or does the staff normalize

1 for management decisions?

2 A. I do not know.

3 Q. You don't know. I believe in response to a  
4 document request you provided a copy of your surrebuttal  
5 testimony in the Empire district case 2001-299 from May of  
6 2001. Do you have a copy of that?

7 A. The surrebuttal testimony?

8 Q. Yes, sir.

9 A. I have a copy.

10 Q. All right. Would you look at what I believe is  
11 page two. There is a first page which has surrebuttal  
12 testimony on the top and then there is a second page. I  
13 think you are too far.

14 A. Page two or page three?

15 Q. Well, there is no page number on mine. This is  
16 page one. My page two has, on the top, answer the  
17 differences addressed in their rebuttal testimony.

18 A. Yes. I am on that page.

19 Q. If you look down at line ten, could you read the  
20 answer there, no, and then the next two sentences? Well,  
21 let's start with the question.

22 Should staff production cost model results  
23 represent actual test year expenses as alleged in  
24 Mr. Beecher's rebuttal testimony, and then you answer no,  
25 and then would you read the next two sentences, please?

1           A.   Actual expenses for test year are not necessarily  
2 representing of expenses for any particular year.

3           Q.   The next one.

4           A.   Each year is unique in the set of problems that  
5 arise because of weather unit outages, fuel prices, market  
6 conditions and management decisions.

7           Q.   And why don't you go ahead and read the full  
8 answer?

9           A.   Staff normalizes as many of these factors as  
10 possible. It seeks to represent normalized year and not  
11 necessarily match any one set of unique circumstances that  
12 may have arisen in a particular test year.

13                   It is not reasonable to assume a normalized  
14 expense would match that of any particular test year actual  
15 results.

16           Q.   All right. Now, in that particular answer, you  
17 refer to the unique set of problems that arise in a  
18 particular year because of weather unit outages and  
19 management decisions and then indicates the staff normalizes  
20 as many of these factors as possible.

21                   Is it -- was it your testimony in that case that  
22 the staff attempts to normalize management decisions?

23           A.   No. In this context, I was referring to the fact  
24 that management decisions may result in power outages or  
25 unit outages which may affect units running.



1 Q. So is it your testimony that a management decision  
2 could have an affect on the operations of a company and you  
3 don't attempt to normalize for that or that you do?

4 A. It's my testimony that management decisions may  
5 have an affect upon an operation of a power plant and that  
6 we attempt to normalize the events which may happen to a  
7 power plant.

8 Q. So the effect of your normalization would be to,  
9 quote, normalize the effect of those management decisions;  
10 is that right?

11 A. Yes.

12 Q. Do you have any specific examples in mind, or did  
13 you have any specific examples in mind when you wrote that  
14 testimony as to the types of management decisions that have  
15 an affect on operations that you would want to normalize?

16 A. Well, the decision whether to make an upgrade, a  
17 major upgrade, this year or make it next year might affect  
18 the unit outages, whether the unit is down this year or next  
19 year. By normalizing the outages, we take that into effect.

20 Q. Is it your understand that the effect of that  
21 normalization -- let me rephrase that.

22 Do you make a determination as to which of those  
23 decisions need to be normalized or not?

24 A. No, I don't.

25 Q. Is it automatic if the decision has an effect on

1 something you are looking at?

2 A. I don't try to normalize the decision itself. I  
3 normalize the effect that the decision has on the plant's  
4 operation.

5 Q. Do you make a determination of whether the  
6 decision is reasonable or not?

7 A. No, I do not.

8 Q. Do you know whether the effect of your  
9 normalization is a determination on whether the decision was  
10 reasonable or not?

11 A. No, it is not.

12 Q. It is not.

13 A. It is not.

14 Q. In the Interrogatories we looked at before, I  
15 think it was number 89 on page 86. It was the response to  
16 86 that included the cases that the staff has used the  
17 RealTime production cost model. We went through this  
18 earlier, and you indicated that you had participated in  
19 three of those cases including this one, the Empire case,  
20 and the UtliCorp case, 97394; is that right?

21 A. Yes.

22 Q. Now, in this case, your production cost model run  
23 indicated a cost somewhere in the neighborhood of five  
24 million dollars greater than the actual costs that you  
25 compared them against for the year 2000. Does that sound

1 right?

2 A. I didn't compare the cost to actual year.

3 MR. COOK: Let's go off the record a minute.

4 (Wherein, an off the record discussion was held.)

5 Q. (By Mr. Cook) That's apparently a number that  
6 Mr. Cassady has developed. You are not familiar with what  
7 that number is.

8 A. I am not familiar with that number.

9 Q. Do you know -- I am not crazy. I think it is in  
10 the Interrogatories a few items later, but it is prepared by  
11 John Cassady. You didn't check that for any reason; is that  
12 right?

13 A. Check what?

14 Q. That number, the difference between your model and  
15 the actual.

16 A. No, I did not.

17 Q. You did, however, tell us that you checked some of  
18 the specific outputs versus the specific actual numbers,  
19 right?

20 A. In the generation not cost.

21 Q. Okay. Do you know whether or not, in the other  
22 cases that you have worked on, if the model numbers came in  
23 above or below actual?

24 A. I don't recall.

25 Q. Do you know what an input output curve is?

1 A. I guess you would have to be more specific.

2 Q. Have you ever heard of that term as used in  
3 production cost model?

4 A. No, I haven't.

5 Q. All right. Unit heat rate. You know what a unit  
6 heat rate is, don't you?

7 A. Yes, I do.

8 Q. What is unit heat rate used for in your model?

9 A. In the model run it is used to determine the  
10 cost -- well, it is one of the factors used to determine  
11 cost of the units.

12 Q. All right. And that number -- is it a specific  
13 number for each unit?

14 A. Yes, there is.

15 Q. Does it vary with hour or day or month or  
16 anything?

17 A. It varies with load.

18 Q. All right. Do you know how that number is  
19 determined?

20 A. I use the heat rates given to me in a DR response  
21 in reviewing.

22 Q. Do you modify them in any way or adjust them in  
23 any way?

24 A. No, I do not.

25 Q. Are you aware of how Union Electric determines

1 those numbers?

2 A. I have a DR response that I ask them how they  
3 determine those numbers, and I would have to check the  
4 response to accurately reply to that.

5 Q. Do you -- are you familiar with the term field  
6 testing?

7 A. Yes.

8 Q. Do you know if those numbers are determined from  
9 field testing? Does that sound familiar?

10 A. I would have to check the DR response to see if  
11 they determine it that way.

12 Q. Do you know what an efficiency deviation factor is  
13 or EDF?

14 A. No, I do not.

15 Q. Have you ever heard of that?

16 A. I have seen the term EDF, but I've never inquired  
17 as to what it means.

18 Q. Where have you seen it?

19 A. I think I have seen that in Ameren UE's Prosym  
20 model.

21 Q. Do you know -- move on. Does your model include  
22 anything related to refueling of the nuclear plant at  
23 Callaway? Let me rephrase that.

24 Does your model include anything related to  
25 refueling at Callaway?

1 A. Other than refueling outage, no, it does not.

2 Q. All right. It does take into account an outage  
3 for refueling.

4 A. I would have to check to see if it did for this  
5 year. I use the average outages for this year.

6 Q. Do you know how often Callaway is refueled?

7 A. I understand every 18 months.

8 Q. And so what kind of average did you use for  
9 Callaway?

10 A. I use the five year average for Callaway.

11 Q. Ending in 2000, including 2000?

12 A. Including 2000.

13 Q. So however many Callaway outages are in that five  
14 years, that's part of the average; is that right?

15 A. Yes, it is.

16 Q. Do you know -- let me start that again.

17 Is it true that the length of the outage or the  
18 length of an outage or outages for Callaway that is included  
19 in your model would be the average of whatever outages  
20 occurred in those five years?

21 A. Yes, it is.

22 Q. Did you include anything which would take into  
23 account the most recent outage in the spring of 2001?

24 A. No, I did not.

25 Q. Can you check something that you may have brought

1 today in your materials which would indicate, or do you  
2 remember how many days you have included for the refueling  
3 outage in your run?

4 A. Let me check to see if I have brought that. I  
5 used 466 hours.

6 Q. All right. Let me make sure I understand how you  
7 did the averages. If there was no Callaway outage in 2000,  
8 you still don't come up with a number for a Callaway outage,  
9 right?

10 A. Yes.

11 Q. And where do you get that number?

12 A. That number was a five year average of the outages  
13 for the last five years.

14 Q. Would the same be true of any other units if there  
15 was no outage, say, at Labadie 3 in 2000?

16 A. Yes, that would be true.

17 Q. You would pick it up from the average of the five  
18 years.

19 A. Yes.

20 Q. Are we talking forced or planned outages or both?

21 A. Both.

22 Q. Both. You have worked at a nuclear facility  
23 previously; is that right?

24 A. Yes, I did.

25 Q. And were you there during any refueling outage?

1 A. Yes, I was.

2 Q. Did you have any responsibilities related to that  
3 outage?

4 A. Yes, I did.

5 Q. What were those?

6 A. My responsibility was engineering support to  
7 operations during the outage, making modifications to the  
8 plant during the outage.

9 Q. All right. When there is an outage, you shut down  
10 the nuclear plant, right?

11 A. Yes.

12 Q. It stops generating.

13 A. It stops.

14 Q. Do you know how that works at a very high level?

15 A. How what works?

16 Q. How do you turn it off?

17 A. How do you turn it off? You have to shut it down.

18 Q. Is there a switch that you throw and then you open  
19 a door and go in?

20 A. No. It's not quite that simple.

21 Q. No. Do you know how long it takes a nuclear plant  
22 to safely shut down for a refueling outage?

23 A. No, I don't.

24 Q. Do you know if it is more than an hour or two?

25 A. Yes, it is more than an hour or two.



1 Q. Is it a matter of days?

2 A. It is a matter of days. I am not sure exactly how  
3 long it is.

4 Q. Do you know how long it takes a nuclear power  
5 plant to return to full power after a refueling outage?

6 A. No, I don't.

7 Q. Are you familiar with the terms coast down and  
8 ramp up?

9 A. Yes, I am.

10 Q. And do you know whether a nuclear plant can  
11 provide its full load to the system during those times of  
12 coasting down and ramping up?

13 A. During coast down, a nuclear plant, I understand,  
14 cannot supply at full load. In ramping up, it also cannot  
15 supply full load.

16 Q. Do you know whether or not coasting down time and  
17 ramping up time is taken into account when you determine the  
18 availability of the Callaway plant in your production cost  
19 model?

20 A. I don't think the coast down time is in there, but  
21 we do have the ramp rate in the Callaway plant. We use the  
22 same ramp rate that Ameren UE used in their model.

23 MR. COOK: Let's go off the record moment.

24 (Wherein, a lunch recess was taken.)

25 Q. (By Mr. Cook) Back on the record after our lunch

1 break.

2 Mr. Bender, on outages and their treatment by your  
3 model, you have included information and we talked about the  
4 planned outage schedule, planned outages that you have  
5 included and the forced outages.

6 Are there any other types of outages of load  
7 reductions other than the Callaway refueling and the planned  
8 and forced outages that the model takes into account?

9 A. Other than what I have input into the model, no,  
10 there aren't any.

11 Q. That's the question. What have you inputted into  
12 the model?

13 A. I have inputted the planned outages and the forced  
14 outages -- I'm sorry -- forced outage rates.

15 Q. Are you familiar with something called fuel  
16 quality load reduction?

17 A. No, I am not.

18 Q. Do you have anything called that in your model?

19 A. I have never used that function. So I don't know  
20 whether it is in the model or not. I can look it up.

21 Q. Do you know whether your model takes into account  
22 whether a unit is generating at a reduced load because of  
23 the quality of fuel that is being used during a particular  
24 hour?

25 A. No, it does not.

1 Q. Do you --

2 A. It does have an adjustment factor that you can  
3 adjust the maximum output to.

4 Q. So you can, in effect, manually tweak something  
5 for some reason or another.

6 A. Yes.

7 Q. And do you do that at all? Have you done that in  
8 this case?

9 A. Not in the filed case. In my update I plan on  
10 doing that.

11 Q. And for what purposes will you do it in the  
12 update?

13 A. Like I said before, the model has a tendency to  
14 run a unit at its maximum capacity that is input, but I have  
15 noticed from looking at 20.080 data that some of the units  
16 aren't run at those capacities. So the model has a  
17 percentage that I can put -- that I can input that will  
18 adjust the normal running capacity but still allow the model  
19 to run at a maximum if it needs to during peak periods.

20 Q. And what will be the basis of the adjustment that  
21 you plan to make?

22 A. I will have to compare the model generating output  
23 with the yearly generation data I received from UE, both the  
24 year 2000 and the five year average.

25 Q. All right. Do you know whether there is the

1 possibility of an equipment problem at a unit that could  
2 cause a reduction in generation yet not cause a forced  
3 outage?

4 A. That is a possibility.

5 Q. And do you have anything factored into your model  
6 at the current time which would take that into account?

7 A. No, I do not.

8 Q. Are you familiar with the concept of spinning  
9 reserves?

10 A. Yes, I am.

11 Q. Do you know whether Ameren is required to maintain  
12 a certain amount of spinning reserve?

13 A. I understand they are required to maintain a  
14 certain amount. Yes.

15 Q. Does the model that you ran take that into  
16 account?

17 A. In the filed model, it does not.

18 Q. Are you familiar with the concept of quick start  
19 capacity?

20 A. Yes.

21 Q. And does your model include that?

22 A. The model includes units which have quick start  
23 ability, such as the CTs, and the ramp rate on those are  
24 quick start. In other words, they can start within a ten  
25 minute period.

1 Q. So your model assumes that they do.

2 A. Model assumes they do.

3 Q. Does RealTime model -- let me rephrase.

4 I believe you testified RealTime model models  
5 economic dispatch on an hourly basis; is that right?

6 A. Yes.

7 Q. And does it assume that all units are available  
8 one hour and not the next and then available the next hour  
9 again?

10 A. No. If a unit is always -- is already running, it  
11 will evaluate whether it is economical in the next hour to  
12 start up a next unit or to keep the one that it has running.

13 Q. So it is your understanding that the model takes  
14 into account the expense of starting up and shutting down.

15 A. Yes. Start-up costs are included.

16 Q. What are the factors that the model takes into  
17 account in determining whether or not it is economical to  
18 start a unit? Do you know?

19 A. Number one is its availability. Number two could  
20 be its incremental cost and start-up cost. The start-up  
21 costs are spread over a period of time, and we get that  
22 start-up spread from information that Union Electric has  
23 supplied us.

24 Q. Do you know what kind of costs are included in  
25 start-up costs?

1 A. You mean a dollar amount for each unit --

2 Q. No.

3 A. -- or the cost included in the cost?

4 Q. What kind of costs are included in that category  
5 called start-up cost?

6 A. No, I don't.

7 Q. Would a unit's ramp rate be relevant to that issue  
8 on whether or not it is to be started up or not in the  
9 model?

10 A. Yes, it would.

11 Q. Is there such a thing as a minimum up time?

12 A. Yes, there is.

13 Q. Minimum down time?

14 A. Yes.

15 Q. Is there something called defined cold hours?

16 A. Yes, there is.

17 Q. Are there other elements that you would consider  
18 important to know?

19 A. For starting up a unit?

20 Q. Uh-huh. Or to know whether it is economical to  
21 start up a unit.

22 A. Well, obviously, the fuel cost. I don't think we  
23 have mentioned those.

24 Q. Would you agree that whether or not a unit is a  
25 must run unit would have an affect on whether --

1           A.    Yes, it would. I want to clarify that on the last  
2 run unit. It is not necessarily determined whether it is  
3 going to start up. That, more or less, determines whether  
4 it is going to shut down. If it is a must run unit, it just  
5 won't shut it down.

6           Q.    Okay. Are these same kinds of -- are many of  
7 these same kind of factors also relevant on the question of  
8 whether you shut down a unit?

9           A.    Yes, they are.

10          Q.    Does the question of spinning reserve have an  
11 affect on that?

12          A.    Yes, it does.

13          Q.    Boiler characteristics?

14          A.    There are no boiler characteristics in the model.

15          Q.    All right. So you wouldn't take -- that would not  
16 be taken into account then.

17          A.    No. That's taken into account by the heat rate.

18          Q.    All right. What is a must run unit?

19          A.    Usually, we let the utility define the must run  
20 units. Basically, it is a base load unit such as Callaway.

21          Q.    Do you know what the meaning of must run is? What  
22 is it about a unit that would cause a utility to call it a  
23 must run unit?

24          A.    I don't have an answer for that. I do not know.

25          Q.    You don't know. Do you know if UE has any must

1 run units, or do you know what units UE may designate as  
2 must run?

3 A. I know Callaway is designated as a must run unit.

4 Q. Do you know whether Ameren energy generating  
5 company has any must run units?

6 A. I don't recall whether they do or not.

7 Q. Is there anything about your model that requires  
8 you to note that a unit is must run or to so designate a  
9 unit as must run?

10 A. Yes, there is. There is an entry for must run  
11 units. It is must run capacity.

12 Q. Must run capacity is referred to in your model.

13 A. Yes.

14 Q. And to your recollection, Callaway is the only  
15 unit that is so designated in your model.

16 A. Yes, it is.

17 Q. Do you know what the model does with that  
18 information or that fact as to how it treats it differently,  
19 if at all, from other units?

20 A. The model will not shut down a must run unit  
21 except for outages, and it will run at that capacity  
22 that's -- it will not get below that capacity.

23 Q. All right. Would it make any difference to your  
24 bottom line if there are units that are must run but are not  
25 listed that way in the model or vice versa?



1           A.   Yes.  It would change the loading order of all the  
2 other plants.

3           Q.   I want to go back and ask a couple questions about  
4 the analysis or comparison or reasonableness check that you  
5 may make after you do a model.  Do you call it that?  Do you  
6 call it a reasonableness check or sanity check or anything?  
7 What would you refer to that as?

8           A.   A reasonableness check.

9           Q.   If you ran your model on actual test year data  
10 without normalizing, would you expect the model's cost to  
11 closely match those actual costs?

12          A.   It would be close, but it's very difficult to  
13 model an actual year because of the random forced outages  
14 that the model includes.  I cannot order the model to shut  
15 down the unit at a particular time other than using a  
16 planned outage.  So it would be difficult to simulate actual  
17 year forced outages.

18          Q.   So your model -- if you put in actual data for a  
19 test year, you would not put in the -- assuming a historical  
20 test year now, you could not put in the actual forced  
21 outages.

22          A.   No, I cannot.  I can put in a forced outage rate,  
23 but it is up -- the model will randomly select when it wants  
24 to shut down the units.

25          Q.   The model doesn't use Murphy's law and require

1 that those outages occur at the most inopportune time.

2 A. Not to my knowledge.

3 Q. Okay. Are you familiar with the term start  
4 spread?

5 A. Yes.

6 Q. What is that?

7 A. Start spread is -- I can read that out of the  
8 manual for you. It is the number of hours that the cost  
9 of -- start-up cost are spread over.

10 Q. All right.

11 A. Start spread is the number of hours over which the  
12 start-up cost will be spread.

13 Q. Very good. Have you ever run your model using  
14 actual data, not normalized, for a particular given year and  
15 tested it against and compared it against the actual  
16 results?

17 A. No, I have not.

18 Q. For Ameren or any other company?

19 A. Ameren or any other company.

20 Q. Do you have an opinion as to whether or not a  
21 significant variance in the outcome of such a run would  
22 indicate a problem with the model, a significant difference  
23 in the outcome of the run versus the actual? You have  
24 indicated that you think there would be a problem because of  
25 the random forced outages.

1 A. Yes.

2 Q. Did you view that as a problem with the model?

3 A. No. I don't view that as a problem with the  
4 model.

5 Q. But because of that, is it your testimony or your  
6 opinion that the model would result in an inaccurate  
7 finding?

8 A. Because of that, we cannot model exact -- we  
9 cannot exactly model a particular year and expect to get the  
10 same results that the utility did in that year.

11 Q. Based on your understanding of how a model works  
12 and what is supposed to determine, but for that problem of  
13 the random assignment of forced outages, should a model be  
14 able to fairly closely replicate the actual year if you put  
15 in the actual numbers?

16 A. Perhaps closely, but I don't know how closely that  
17 would be.

18 Q. If it didn't come in close, would you think that's  
19 a problem?

20 A. No. I don't think that would be a problem,  
21 because we never model actual years. I have never modeled  
22 actual years.

23 Q. Okay. Is the fuel cost used to decide whether to  
24 dispatch a unit -- is a fuel cost that the model uses to  
25 decide whether to dispatch a unit the same fuel cost as the

1 model uses to calculate the total cost for that particular  
2 month?

3 A. No, it is not. The model uses an incremental heat  
4 rate to calculate the fuel cost to dispatch a unit, but to  
5 calculate the fuel cost for the entire month, it uses an  
6 average unit.

7 Q. Thank you. Let's talk about the Joint Dispatch  
8 Agreement for a moment. How often have you run a production  
9 cost model for Ameren prior to the run that is included in  
10 this filing, or have you?

11 A. I have never run the production cost model for  
12 Ameren prior to this case.

13 Q. Prior to June of this year?

14 A. Yes.

15 Q. Do you know when the Joint Dispatch Agreement went  
16 into effect?

17 A. I have that in testimony that it was agreed upon  
18 December 18, 1995.

19 Q. All right. Do you know when it was -- when it  
20 went into effect?

21 A. When they actually began to dispatch in a combined  
22 system; is that what you are asking?

23 Q. Yes.

24 A. No, I do not.

25 Q. Have you ever run a production cost model for any

1 other utilities or any other entities that requires the use  
2 of something like the Joint Dispatch Agreement?

3 A. No, I have not.

4 Q. What do you have to do to the model's inputs to  
5 accommodate the Joint Dispatch Agreement or the JDA?

6 A. I don't change the inputs at all.

7 Q. All right. At the end of your testimony you  
8 indicate that you were waiting for the model provider to  
9 supply an update to the model that will enable the staff to  
10 obtain the output necessary to complete the calculations,  
11 and my understanding was that that had something to do with  
12 the JDA. So is that a output related problem, as opposed to  
13 an input related problem?

14 A. Yes. The model was not able to give us the  
15 reports that we needed to do the JDA, to do the JDA  
16 allocations as we have described.

17 Q. Have you received that update to the model now?

18 A. We have been working on it since we filed this  
19 case, and just this last week we received an update that I'm  
20 evaluating at this time.

21 Q. Have you received prior updates that haven't  
22 worked?

23 A. Yes.

24 Q. Okay. So you have not completed that work yet; is  
25 that right?

1 A. We have not completed that. I have not.

2 Q. How many updates have you received from them?

3 A. I wasn't counting, but I would estimate around  
4 seven. This is the seventh update since filing.

5 Q. What is it about those updates that haven't  
6 allowed you to complete your work?

7 A. The main problem that we had before was the hourly  
8 reporting function of the model, and the main thing that was  
9 changed was reporting function of the model, reporting cost  
10 and generation.

11 Q. And that hasn't been working out?

12 A. It wasn't working out very well. The model itself  
13 is running fine, but the reports we were getting out of it  
14 were inconsistent on the hourly reports, to clarify that.

15 Q. I want to go back to a question I asked you a  
16 couple of minutes ago and make sure that -- make sure of  
17 anything. Let me ask it a slightly different way.

18 I asked about the fuel cost used to decide whether  
19 dispatch units -- whether the dispatch units are the same as  
20 the model uses for the total for the month, and you  
21 indicated it was incremental versus average.

22 A. Yes.

23 Q. Is the fuel price used for dispatching decisions  
24 the same as the fuel price used for the total?

25 A. The fuel price is the same. Yes.

1           Q.   We talked a little bit ago about the  
2 reasonableness comparison that you make, and I think --  
3 well, your model comes up with a total UE figure; is that  
4 right?

5           A.   Total Ameren UE cost.   Yes.

6           Q.   Cost.   Okay.   Total Ameren UE.   So it is not total  
7 Ameren.   It does not include CIPS.

8           A.   I can include CIPS.   Yes.

9           Q.   But what you filed does not --

10          A.   What I filed does not include CIPS.

11          Q.   And did you do a jurisdictional allocation?

12          A.   I do not do that.

13          Q.   Somebody else does that.

14          A.   Somebody else does that.

15          Q.   All right.   And you indicated that you compare  
16 certain of the outputs against five year average, as I  
17 recall, to see if it looks about right.

18          A.   Yes.

19          Q.   And what documents do you compare it to when  
20 you're making that comparison.   You have got your model run,  
21 and you compare it to the five years.   Have you provided --  
22 do we have those documents from previous data requests?   Do  
23 you know?

24          A.   Yes, you do.

25          Q.   Do those include the ones I was showing you

1 previously for some reason had Taum Sauk missing?

2 A. No. I am going to retract that answer, because  
3 those documents were created after we replied to your  
4 Interrogatories. These documents were created as I was  
5 trying to update the model.

6 Q. All right. Do you have -- not with you, but do  
7 you have available the documents that you used to make those  
8 comparisons?

9 A. Yes, I do.

10 Q. Could I request that we get a copy of those? I  
11 will follow it up with a written data request. What we are  
12 looking for are the documents against which you made the  
13 comparisons, which I assume are some five year averages  
14 costs.

15 A. Well, not of costs. I am not looking at cost. I  
16 am looking at generation outage hours, etcetera.

17 Q. But what -- so I am clear, what does it include?

18 A. It includes outages and generation, megawatt  
19 hours.

20 Q. Megawatt hours.

21 A. Megawatt hour.

22 Q. And hours of outages.

23 A. And hours of outages.

24 Q. Does it include anything else that you would be  
25 comparing?



1 A. Not the documents, no.

2 Q. Do you compare it against anything else in your  
3 reasonableness check? Would you compare your model results  
4 against anything other than these documents that have the  
5 total megawatt hours and outage time, outage hours?

6 A. I think we covered this earlier.

7 Q. Probably so. I apologize.

8 A. Of course I look at -- I look at all the results,  
9 and what you are asking me is what do I compare those.

10 Q. Uh-huh.

11 A. I don't necessarily compare all the results to  
12 some number, but I do look at all the results. The main  
13 things I compare are the forced outage rate hours and the  
14 planned outages and the generation, the megawatt hours.

15 Q. The -- there is some dollars involved in your  
16 testimony like, for instance, the test here, total fuel and  
17 purchase power of 343 million plus. Do you compare that to  
18 anything?

19 A. No, I do not.

20 Q. Are there subcategories of those dollar amounts  
21 that you compare to anything?

22 A. No, I do not.

23 Q. The averages that you compare it to you said are  
24 five year averages; is that right?

25 A. I look at the five year -- I look at the five

1 year, and I have the three year, and I also look at the year  
2 2000 in this case.

3 Q. Year 2000 actual?

4 A. Actual.

5 Q. And so did you make a comparison with both the  
6 five year and the three year average?

7 A. Yes, I do.

8 Q. And the test year actual?

9 A. And the test year actual.

10 Q. Look at the Interrogatories again for a few  
11 minutes. If you look at number nine on page 23, the  
12 question there is describe the participation or contribution  
13 of any person identified in response to the immediately  
14 preceding interrogatory.

15 The immediately proceeding interrogatory talks  
16 about anybody participated in or contributed to the  
17 preparation of your testimony; is that right?

18 A. Yes.

19 Q. And the answer -- both of these answers were  
20 prepared by you, I believe, and it indicates that  
21 Dr. Proctor provided a rough draft of portions of the  
22 testimony that refers to the JDA from page six to page ten;  
23 is that right?

24 A. Yes.

25 Q. How much -- can you specify which parts of pages

1 six to ten Dr. Proctor provided a rough draft for?

2 A. Page 6 where it starts with line 12, what is the  
3 JDA between UE and AG. Because I was very busy trying to  
4 model the UE and trying to write testimony, Dr. Proctor and  
5 I decided upon he would write a rough draft of this for me  
6 to review and comment on, and so essentially, from page 6 to  
7 page 11.

8 Q. Basically, all the discussion of the Joint  
9 Dispatch Agreement; is that right?

10 A. Yes.

11 Q. Is it fair to say that he wrote that and you  
12 adopted it?

13 A. He wrote portions of it. I edited it along with  
14 other members of the staff, and I have adopted the edited  
15 version of it.

16 Q. All right. Had you had any dealings with the  
17 Joint Dispatch Agreement before you started working on this  
18 production cost model run?

19 A. No, I had not.

20 Q. I think I may have already hit on this, but you  
21 testified, did you not, that none of the other cases that  
22 you have provided testimony for about your time production  
23 cost model has included a Joint Dispatch Agreement; is that  
24 correct?

25 A. That's correct.

1 Q. Can you tell me which of any of those cases that  
2 you previously worked on had a nuclear power plant  
3 associated with it?

4 A. I don't know if they had a case number, because I  
5 don't know if it ever came to be filed, but we had an  
6 earnings investigation of KCP&L, which I worked on which  
7 involves Wolf Creek Power Plant.

8 Q. That's not listed in the list of cases that you  
9 have filed testimony, right?

10 A. No. I don't think we ever got to the testimony  
11 stage.

12 Q. So none of those cases, then, of course, would  
13 have a refueling outage of a nuclear plant; is that right?

14 A. No.

15 Q. Can you tell me which, if any, of those cases --  
16 and I guess we are just talking about Empire and UtliCorp,  
17 right, for the cases that you have worked on?

18 A. Yes.

19 Q. Did either of those cases include hydrofacilities?

20 A. Empire case included a hydrofacility.

21 Q. Do you know what kind of hydrofacility Empire has  
22 or what kinds they have?

23 A. I don't recall now.

24 Q. Do you know what kind of hydrofacilities Union  
25 Electric has?

1           A.    I have modeled in the model. I have never visited  
2 the --

3           Q.    Does Union Electric have a pump storage  
4 hydrofacility?

5           A.    Yes, they do.

6           Q.    Does Union Electric have a poundage storage  
7 hydrofacility?

8           A.    Yes, they do.

9           Q.    Does it have a run of the river hydrofacility?

10          A.    I don't recall.

11          Q.    I think we established that you did not use an EDF  
12 or efficiency deviation factor in your model for Union  
13 Electric. Have you ever included an EDF in the other cases  
14 that you have worked on?

15          A.    No, I have not.

16          Q.    Interrogatory 92 on page 87 is an answer that you  
17 provided I believe. It refers to the price of emergency  
18 purchased energy; is that correct?

19          A.    Yes, it does.

20          Q.    And is it correct that for this data you used  
21 actual prices paid as provided by the company?

22          A.    Yes, it is.

23          Q.    Let's look at interrogatory number 5, bottom of  
24 page 89. The end of that answer you say the staff plans to  
25 correct this error in the context of the update, the fuel

1 run, and this is the business about Sioux and Meramec; is  
2 that right?

3 A. Yes, it is.

4 Q. Has that modification to the fuel run been  
5 completed?

6 A. This particular modification has. Yes.

7 Q. So you have -- is it correct to say that you have  
8 changed the input to correct for this?

9 A. Yes, I have.

10 Q. Is the fuel run the same as the production cost  
11 model run?

12 A. Which fuel run are we talking about?

13 Q. The last sentence in the answer, the staff plans  
14 to correct this error in the context of an update to the  
15 fuel run.

16 A. Yes. I believe so. I didn't write this, but I  
17 believe that's what he is referring to.

18 Q. Okay. Mr. Cassady prepared this one; is that  
19 right?

20 A. Yes.

21 Q. At the beginning of that answer, Mr. Cassady says  
22 I performed the following historical analysis checks for  
23 reasonableness for the fuel area. Are you familiar with  
24 those analysis checks that he's talking about?

25 A. I am familiar with the terms that he is talking

1 about. I don't know what analysis he did.

2 Q. You do not participate or work with him on that.

3 A. No. We discussed the results of the model, but I  
4 don't know what analysis he did.

5 Q. All right. Other than the comparison or  
6 reasonableness check that we talked about previously on the  
7 megawatt hours output and the forced outages -- planned  
8 outages, I think, against your -- against the five and three  
9 year average in actual test year, do you do any additional  
10 historical analysis check yourself?

11 A. Other than those, I don't remember being any  
12 others.

13 (Wherein, a brief recess was taken.)

14 Q. (By Mr. Cook) Mr. Bender, I asked you some  
15 questions earlier about the Joint Dispatch Agreement, and I  
16 think I certainly got the impression that you had not done  
17 any other type of Joint Dispatch Agreement work except on  
18 this case, and rather than allow your attorney to have the  
19 opportunity to ask you the question on redirect, cross,  
20 whatever, is it true that you did do some work in another  
21 matter that had a Joint Dispatch Agreement or its  
22 equivalent?

23 A. I am not sure if they had a Joint Dispatch  
24 Agreement, but I did run the model for jointly dispatching  
25 the merger between Western Resources and KCP&L.

1 Q. Do you recall when that was about?

2 A. I believe 1997. I would have to check that date.

3 Q. Do you recall whether that was done -- the work  
4 you did was pursuant to a specific agreement between the  
5 parties as to how that would work or not?

6 A. I don't recall any that they had as specific  
7 agreement.

8 Q. Did you submit any testimony in that case?

9 A. Yes, I did.

10 Q. Western Resources and who?

11 A. KCPL, Kansas City Power and Light.

12 Q. EM97515. Does that sound right?

13 A. I don't know. I would have to look that up.

14 EM97515. Yes.

15 Q. And I think the document request cover sheet  
16 indicates UtliCorp United, but is that inaccurate?

17 A. That's inaccurate. It should have been Missouri  
18 Public -- it should have been UtliCorp and KCP&L.

19 Q. Or Western Resources and KCP&L?

20 A. I'm sorry. Yes. Western Resources and KCP&L.

21 Q. Okay. Should that case be added to your response  
22 to interrogatory 89?

23 A. What was the question on interrogatory 89?

24 Q. I will let you look it up just to make sure, but  
25 it refers to your testimony, RealTime production cost model



1 is the same model used by staff in all other electric cases  
2 since '95. Identify each -- question B, identify each rate  
3 case in which this model was used?

4 A. This was not a rate case. This was a merger case.

5 Q. All right. So it was used in that case but not --  
6 since it wasn't a rate case, that was not responsive; is  
7 that your --

8 A. Yes.

9 Q. -- position on that? The testimony in the merger  
10 case -- your testimony in the merger case is about seven and  
11 a quarter pages long; is that right?

12 A. Plus six schedules.

13 Q. Okay. Do you know if your model treats the  
14 different types of hydrofacilities that I listed earlier  
15 differently from each other?

16 A. I believe it treats all the hydrounits the same.  
17 I don't know if it has a capability to do that or not.

18 Q. Do you know, concerning the ramp up for Callaway  
19 after an outage, is there a difference between a ramp up  
20 after a refueling and a ramp up after a forced outage in the  
21 way the plant comes back on line?

22 A. No. It would be the same as far as the model is  
23 concerned.

24 Q. Do you know if it is the same in reality?

25 A. In reality, it would probably be different.

1 Q. I think we have discussed several times probably  
2 that you use the five year average for planned and forced  
3 outage rates for the plant; is that right?

4 A. Yes.

5 Q. And that five year average goes to the year 2000.

6 A. Yes, it does.

7 Q. Did you modify that number in any way before it  
8 was inputted -- or those numbers before it was inputted into  
9 the model?

10 A. No, I did not.

11 Q. Let me make sure I understand the answer to one of  
12 your interrogatories. If you look at number 105, please, on  
13 page -- the question is on page 97. The answer is on page  
14 98.

15 The question is explain in as much detail as you  
16 can how the unit maintenance history data identified in  
17 schedule one to the testimony of Leon C. Bender was utilized  
18 in the RealTime production cost model.

19 Let me read the answer. Unit maintenance history  
20 was used to determine an outage schedule in a five year  
21 average of forced outage hours for each unit. The planned  
22 outage hours were averaged over five years, and that number  
23 was used to set the planned outage hours for the model.

24 The forced outage rate in the model was set such  
25 that the model produced approximately the same number of

1 forced outage hours as the five year average of forced  
2 outage hours on each major UE unit. The RealTime production  
3 cost model uses this to determine unit availability. What  
4 does the word "approximately" mean there?

5 A. This means that the number of hours that the model  
6 reported as forced outages hours was close to the same  
7 number as the forced outage as the five year average.

8 The model does not allow you to put in the -- put  
9 in actual five year forced outages. It uses a different  
10 subroutine to randomly select when hours -- when units are  
11 forced out. Then it totals those hours.

12 Q. All right. So you're saying that for planned  
13 outages, you actually put in a number.

14 A. Yes.

15 Q. And that is the actual five year average; is that  
16 right?

17 A. Yes, it is.

18 Q. And for the forced outages, the model just gives  
19 you a number, and you are saying that when you then check  
20 that output or -- I guess it is both an input and an output.

21 A. Yes. I can input a forced outage rate into the  
22 model, and it uses this rate to calculate how many hours of  
23 the year that it is going to force a unit out.

24 Q. Where did you get the forced outage rate that you  
25 put in?

1           A.   Well, as I said here, I used the rates to adjust  
2 the forced outage hours so that they would be approximately  
3 equal to the forced out in the five year average.

4           We start out with a forced outage rate, and then I  
5 can adjust that rate until I get a forced outage hours that  
6 I need.

7           Q.   The forced outage rate, is that one number for the  
8 system, one number for each plant, a number for each unit?

9           A.   That's a number for each unit.

10          Q.   Is that a percentage number?

11          A.   Yes.

12          Q.   So for instance, you would say that the forced  
13 outage rate for Labadie 3 is six percent?

14          A.   Yes.

15          Q.   And do you have to choose a rate at the very  
16 beginning of their process to stick in there?

17          A.   Yes, you do.

18          Q.   And where did you get that number?

19          A.   I got it off of Tom's model.

20          Q.   All right. So at that point you just used a  
21 number that had already been used previously.

22          A.   That had already been used previously, which I am  
23 assuming that he got that off of UE's budget numbers.

24          Q.   Then that rate is then taken by the model and  
25 randomly assigned throughout the year which gives it

1 different values depending on when that forced outage  
2 occurs; is that right?

3 A. Yes.

4 Q. And then is it true that you then looked at the  
5 output of that and modified the rates so that when you add  
6 the in, the output would be close or approximately the same  
7 number of hours as the five year average?

8 A. Yes.

9 Q. Thank you. Would you look at interrogatory number  
10 90, please, on page 86? The question here is the term "net  
11 purchase power" is used by Leon C. Bender on page two of his  
12 testimony. Subquestion A is explain in as much detail as  
13 you can the meaning you give to this term.

14 And the response that you provided says net  
15 purchase power used in this case is the purchase power to  
16 meet the weather normalized load used in a production cost  
17 model.

18 The value includes only the cost of the energy  
19 purchased and thus is net of any capacity charges or other  
20 fees. Is that an accurate reading of that?

21 A. Yes, it is.

22 Q. Therefore, you do not include any capacity charges  
23 or capacity costs in your net purchase power; is that right?

24 A. That's correct.

25 Q. Why do you not do that?

1           A.    That is a fixed charge, which, I understand, is  
2 added back in by the accountants.

3           Q.    All right. So it does not -- does it appear  
4 anywhere in your total costs?

5           A.    No, it does not.

6           Q.    So that 343 million dollars does not include any  
7 capacity costs.

8           A.    True.

9           Q.    Do you agree that a regulated utility company is  
10 allowed the opportunity to earn a fair rate of return?

11          A.    Is allowed? Yes.

12          Q.    Is allowed. Yes. Okay. Do you know what the  
13 term allowed rate of return means in the context of a rate  
14 case?

15          A.    No, I do not.

16          Q.    Do you know what the staff has recommended as a  
17 fair and reasonable return for Ameren in this case?

18          A.    No, I do not.

19          Q.    Do you know what components go into determining  
20 what a return is in this particular case?

21          A.    No, I do not.

22          Q.    Do you know whether or not the level of costs  
23 which are included in the cost of service has a  
24 determination -- has an effect on the determination of the  
25 allowed return?

1           A.    No, I don't.  I don't work with the cost of  
2   service.

3           Q.    Do you know whether or not there would be an  
4   effect on the company's allowed rate of return if the costs  
5   included in a cost of service study are substantially  
6   inaccurate?

7           A.    I don't know what the effect would be because I am  
8   not familiar with the cost of service study.

9           Q.    Would you agree that it is improper to knowingly  
10   understate or overstate the costs required to provide  
11   service?

12          A.    I would agree that it is -- would be improper to  
13   knowingly, yes.

14          Q.    What part of the overall case that the staff has  
15   provided are you personally responsible for?

16          A.    Personally responsible for the model -- the  
17   production cost model and its results.

18          Q.    Do you know whether or not that is included in the  
19   staff's cost of service study?

20          A.    No, I do not.

21          Q.    Do you know why -- do you know if the staff does  
22   the cost of service study?

23          A.    I believe they do, but I don't know what one is.

24          Q.    Okay.  You don't know what one is and --

25          A.    I am not involved in that, those activities.

1 Q. All right. Do you know if the RealTime production  
2 cost model is used by other state regulatory commission  
3 staffs?

4 A. No, I don't.

5 (Wherein, Mr. Cynkar returned to the deposition.)

6 Q. Schedule one to your testimony there is a list of  
7 four companies' names in the lower right hand box. What are  
8 those, please?

9 A. Those are the capacity purchases that were modeled  
10 in the production cost model.

11 Q. What do you mean the names of the purchases?

12 A. Those are the names of the companies who call the  
13 suppliers.

14 Q. They supply --

15 A. That supply energy that Ameren UE has contracts  
16 with.

17 Q. Do you know the term of those agreements?

18 A. No, I do not.

19 Q. And by "term," I mean the length of those  
20 agreements. Do you know when those agreements expire?

21 A. No, I do not.

22 Q. Do you know the rates that Ameren pays pursuant to  
23 these agreements?

24 A. I am not sure if you mean -- by "rates" you mean  
25 prices.



1 Q. Yes.

2 A. The prices are in the 20.080 data that we received  
3 from the company.

4 MR. COOK: That's all I have. Thank you very  
5 much, Mr. Bender. Do you have any questions?

6 MR. FREY: No.

7 MR. COOK: Do you wish to waive signature, or do  
8 you wish to sign?

9 MR. FREY: We don't want to waive signature.  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

NOTARIAL CERTIFICATE

I, DEANNE M. LAKE, a Notary Public, Registered Professional Reporter and Certified Shorthand Reporter, do hereby certify that there came before me at the office of 200 Madison, Suite 810, Jefferson City, Missouri,

LEON BENDER,

who was by me first duly sworn to testify to the truth and nothing but the truth of all knowledge touching and concerning the matters in controversy in this cause; that the witness was thereupon carefully examined under oath and said examination was reduced to writing by me; and that this deposition is a true and correct record of the testimony given by the witness.

I further certify that I am neither attorney nor counsel for, nor related, nor employed by any of the parties to the action in which this deposition is taken; further, that I am not a relative or employee of any attorney or counsel employed by the parties hereto or financially interested in this action.

IN WITNESS WHEREOF, I have hereunto set my hand and seal this 27th day of November, 2001.

*DeAnne M. Lake*

DeAnne M. Lake  
CSR #084-004441

