

1 these determinations was considered by you.

2 To your mind you didn't leave anything out that  
3 was a material factor in reaching the right number for the  
4 pensions and for OPEBs?

5 A. Again, I believe that the question is such --  
6 in such a broad nature, I'm not sure that I can give you a  
7 definitive yes or no.

8 I can give you an example of why I'm having  
9 problems with that.

10 Q. If I rephrase it, maybe it will help.

11 Can you identify any factor that you think is  
12 material to reaching the right number for the pension or  
13 the OPEB issues in your testimony that you failed to  
14 consider?

15 A. I would probably have to say the same. I mean,  
16 merely switching the context of the question I don't think  
17 helps me to answer the question.

18 Q. Why don't we move on.

19 In your written testimony, all of the  
20 information that is material to your analysis of these  
21 issues is included in the testimony?

22 A. To the best of my knowledge as of the time of  
23 the filing of the testimony.

24 Q. Okay. So that everything that the Commission  
25 would need to make its determination of just and

1 reasonable rates based on your adjustments would be  
2 included in the testimony?

3 A. I'm sorry. Could you repeat that?

4 Q. Everything that the Commission needs to make  
5 its determination of just and reasonable rates, to the  
6 extent that's based on pension and OPEB adjustments, is  
7 included in your written testimony?

8 A. Subject to the changes that we discussed  
9 earlier, I am not aware of leaving material facts out that  
10 would -- that would aid in the calculation of my  
11 adjustments in my testimony.

12 Q. Just to clarify, by your testimony, I also mean  
13 the schedules that are referenced in the testimony and --

14 A. I consider that all of the testimony --

15 Q. Yes.

16 A. -- with the caveat that the two schedules that  
17 would reconcile both the pension and OPEB will change.

18 Q. Okay. Is it your understanding that in setting  
19 just and reasonable rates, the Commission is required to  
20 consider gains that might be realized through increased  
21 efficiency?

22 A. I believe it's generally the -- I believe it's  
23 generally the Staff's position to attempt to reflect  
24 efficiencies within its cost-of-service recommendation.

25 Q. And in doing your work in this case, did you

1 consider gains that might be realized through increased  
2 efficiency?

3 A. To the extent that they were included or  
4 reflected in the data that the Staff analyzed, yes.

5 Q. And could you explain how increased efficiency  
6 might be reflected in that data?

7 A. There is numerous examples that could be  
8 included in the data.

9 Q. Would be an example of, say, expenses going  
10 down because of a more efficient use of resources?

11 Is that the sort of example?

12 A. That could be an outcome.

13 Q. And the way that the efficiency would be  
14 reflected, then, would be in lower -- a lower cost-of-  
15 service number relative to an inefficient or less  
16 efficient company?

17 A. Than a less efficient company?

18 Q. Yes.

19 A. Are you --

20 Q. For identifying a particular efficiency.

21 A. Well, to capture the efficiency that you  
22 previously described would only be measured within the  
23 context of your company. It wouldn't be a comparison  
24 against another company.

25 Q. So that the more efficient the company would

1 become for any particular category, the lower cost of  
2 providing service would be associated with that particular  
3 category?

4 Is that how the efficiency gets reflected?

5 A. If the efficiency generates cost savings.

6 Q. Can you identify any efficiencies that reflect  
7 the cost savings that you may have encountered in doing  
8 your work in this case?

9 A. Just so I'm clear, are you asking me if I can  
10 identify any efficiency and the dollars associated with  
11 that efficiency for purposes of my cost-of-service  
12 calculation?

13 Q. Not the exact dollars but the -- can you  
14 identify any instances in which inefficiency and  
15 efficiency could be identified in the financial data of  
16 the Company that was reviewed by any of the Staff members  
17 whose work you may have reviewed?

18 A. I'm aware of an employee reduction program that  
19 occurred in, I believe, 1999 that reduced the number of  
20 employees of the Company.

21 Now, that reduction in payroll, depending on  
22 your perspective, could be viewed as an efficiency  
23 perhaps.

24 Q. In the course of performing your work on this  
25 case, did you attempt to identify any efficiencies or any

1 increase in efficiency in the Company's performance?

2 A. I'm aware that the Company maintains a coal  
3 inventory level that is significantly lower than the  
4 amount that was included in rates.

5 Q. And can you identify any gains that might have  
6 been realized by the Company through increased efficiency  
7 that have been reflected in some manner in the cost-of-  
8 service calculation?

9 A. I believe as I testified earlier, to the extent  
10 that an efficiency was realized and has been quantified  
11 and reflected in the books and records of the Company, the  
12 Staff would incorporate those in its cost-of-service  
13 calculation.

14 But to specifically pull it out and identify  
15 that, unless it -- unless it became apparent through the  
16 course of the Staff's audit, it would just -- it would  
17 just be included through the expense analysis or revenue  
18 analysis.

19 Q. Okay.

20 Is it your understanding that in setting just  
21 and reasonable rates, the Commission is obligated to  
22 consider rate stability?

23 A. The Commission is obligated?

24 I don't know that I agree with that.

25 Q. In performing your analysis for this case, did

1 you consider rate stability?

2 A. You have to define a period. I'm not sure that  
3 I can answer it in general terms.

4 Q. Would rate -- I'm sorry.

5 A. The relationship of the investment, expenses  
6 and revenue that we established in our cost of service,  
7 the Staff would contend that that relationship will exist  
8 the year the rates go into effect.

9 If your question goes beyond, for instance, a  
10 20-year period, I would have to say I don't know.

11 Q. Okay. And you mentioned earlier the EARP that  
12 UE had been under for the last six years.

13 Have you given any consideration in preparing  
14 your testimony to how the EARP may have affected the  
15 expenses of UE that were the subject of your testimony?

16 A. There was no guidelines or quantification of  
17 expenses when the EARPs were first negotiated.

18 So I'm having trouble answering to the expense,  
19 savings or reductions that would have occurred during that  
20 time.

21 MR. DOTTHEIM: Mr. Wolski, if at some time in  
22 the near future there is a natural place to break --

23 MR. WOLSKI: Maybe in about one minute or so.

24 MR. DOTTHEIM: Certainly; when it's convenient  
25 for you.

1 BY MR. WOLSKI:

2 Q. What was the goal that you sought to achieve in  
3 proposing the adjustments that will be proposed in your  
4 direct testimony?

5 A. Could you provide me your definition or  
6 interpretation of "goal"?

7 Q. Well, the adjustments are made for purposes of  
8 deriving a cost-of-service number. Correct?

9 A. Ultimately, correct.

10 Q. And the cost-of-service number is supposed to  
11 reflect what?

12 A. It would be the Staff's belief that the  
13 cost-of-service calculation that was filed would  
14 ultimately result in just and reasonable rates for  
15 AmerenUE.

16 Q. And the cost-of-service number is supposed to  
17 represent the cost of providing service for the future  
18 period that the new rates will be in effect?

19 A. No.

20 Q. What is the cost-of-service number supposed to  
21 represent?

22 A. The cost-of-service number, as I previously  
23 testified, establishes the relationship between  
24 investment, revenues and expenses that the Staff believes  
25 that that relationship will exist the year rates are in

1 effect.

2 Q. So it's a prediction of what revenues, expenses  
3 and investments will be in the year that the rate goes  
4 into effect?

5 A. No.

6 Q. The expense number that is determined in the  
7 cost-of-service calculations is supposed to represent what  
8 to your mind?

9 What does that represent?

10 Does that represent the expected cost of  
11 providing the service to customers?

12 A. The expected cost of service.

13 Q. Yes.

14 Is that what the expenses are supposed to  
15 reflect that are embodied in the cost-of-service  
16 calculation?

17 A. You'll have to repeat it. I lost it.

18 Q. The cost-of-service calculation is based on a  
19 relationship, you said, between expenses, revenues and  
20 investments.

21 What is the expense portion of that supposed to  
22 represent?

23 A. You can't pull one of the components of the  
24 relationship out and ask what time -- if that -- if that  
25 component is going to be -- is reflective of the year



1 rates are in effect. It doesn't work that way.

2 In a relationship between the three, that  
3 relationship we believe -- or the Staff believes will be  
4 in effect the year rates are in effect.

5 It's not -- it's not intended to be a  
6 prediction. It's intended of specific costs. It's  
7 intended to reflect that relationship.

8 MR. WOLSKI: Actually, why don't we take a  
9 break now.

10 (A RECESS WAS TAKEN.)

11 BY MR. WOLSKI:

12 Q. I guess if we could clarify what we were just  
13 talking about.

14 I believe you were describing how the  
15 relationship between revenues and expenses and investment  
16 together is what determines the cost-of-service number.

17 And I guess what I would like to know is, all  
18 of those three pieces aren't constantly moving, are they?

19 I mean, you have to start with some fixed  
20 number as your starting point in order to make any  
21 meaningful calculation.

22 Isn't that correct?

23 A. Yes.

24 Q. Now, in making the cost-of-service  
25 determination, is it reasonable to conclude that one would

1 start with a determination of what the expenses related  
2 with -- related to the course of providing service are?

3 A. I'm sorry. Could you repeat the question?

4 MR. WOLSKI: Maybe we can read that one back.

5 (THE COURT REPORTER READ BACK THE PENDING  
6 QUESTION.)

7 THE WITNESS: Yes, to the extent that the  
8 relationship between the three factors that we described  
9 was -- was considered.

10 BY MR. WOLSKI:

11 Q. And what would be the proper measurement of  
12 expenses for purposes of cost-of-service ratemaking, the  
13 expense -- expenses portion of the equation?

14 What is the proper measurement of expenses?

15 A. Are you --

16 Q. You're not trying to predict what expenses were  
17 in 1950 to determine how much ratepayers should pay for  
18 electricity, for instance. Correct?

19 A. Are you asking me what the proper period would  
20 be --

21 Q. Yes.

22 A. -- for determining the level of expenses --

23 Q. For cost of service.

24 A. -- for cost of service?

25 Q. Yes.

1       A.       I don't know that there is a preferable period.  
2       I don't know that there is a set period.

3       Q.       Okay. But in cost-of-service ratemaking,  
4       you're not -- you're trying to determine what the current  
5       costs of service are, are you not?

6       A.       The Staff's objective in the cost-of-service  
7       calculation is to make sure that the relationship between  
8       revenues, expenses and investment is such that it would  
9       be -- that that relationship will be reflected the year  
10      rates are in effect.

11              Now, the period that you choose, I don't know  
12      that -- that there is a stated criteria or rule that says  
13      you have to use a certain period.

14      Q.       So you could make the determination based on  
15      figures from 1980, for instance, to do a current cost-of-  
16      service calculation?

17      A.       If you looked at -- strike that.

18              For the period that we're discussing back and  
19      forth, are we in agreement that we're talking about a test  
20      year?

21      A.       Well, what -- let me ask you.

22              What is a test year supposed to represent?

23      A.       A test year generally is a 12-month period that  
24      becomes the basis for an analysis of the revenues,  
25      expenses and investment of a company.

1 Q. And is the purpose of the test year to  
2 determine going forward what just and reasonable rates  
3 would be?

4 A. And, again, the test year is the basis to  
5 establish the relationship between revenues, expenses and  
6 investment that relationship will be in effect the year  
7 rates are in effect.

8 Q. Okay. And are you required to select a test  
9 year to do these calculations?

10 A. I'm not sure of required.

11 I would say that generally the Staff utilizes a  
12 test year and other periods -- other update periods to  
13 establish or to quantify that relationship that we  
14 discussed.

15 Q. What are the criteria that would be considered  
16 in determining a proper test year?

17 I mean, would it be reasonable to select data  
18 that is 20 years old for purposes of making a test year?

19 A. You could.

20 Again, the -- the standard or the goal that you  
21 have to -- that you want to establish for whatever test  
22 year you choose, that the relationship that you develop  
23 between the three factors that we've discussed, that you  
24 feel comfortable with that relationship. That  
25 relationship will exist the year rates are in effect.

1           So if you choose 1980 and you do the  
2 analysis -- it's probably more difficult for one that's --  
3 for a test year that was that far extended back.

4           But if you look at that and you're confident  
5 that with adjustments you can establish a relationship of  
6 those factors for the year rates are in effect, you can  
7 use utilize the test year that far back.

8           Q.       And what sort of adjustments do you have to  
9 make to the test year data for purposes of a cost-of-  
10 service calculation?

11          A.       Are we still speaking about 1980?

12          Q.       For instance, if you use the 1980 -- if you use  
13 1980 data for a test year, what sort of adjustments would  
14 one make in fixing up the test year to be appropriate for  
15 a cost-of-service determination?

16          A.       If it was determined that a 1980 test year was  
17 to be adopted, the burden on a party would be to show that  
18 the relationship that was established as a result of that  
19 test year or the analysis from 1980 to whatever period of  
20 update, that that relationship would be correct and would  
21 be proper to reflect the year that rates are in effect.

22          Q.       And the purpose of updating the 1980 numbers  
23 would be what?

24                   Why would you update those numbers?

25          A.       I didn't necessarily say that you would.

1 Q. If you were to update them.

2 A. If you had to update the 1980 numbers, it would  
3 be because you believed that the relationship between  
4 revenues and expenses and investments weren't realistic --  
5 were not -- realistic is a bad word -- weren't reflective.

6 Q. So by relationship then -- let me make sure I  
7 understand this.

8 Do you mean that if in 1980 a certain kilowatt  
9 hour price of electricity would cover 100 percent of the  
10 expenses and investment needs of a company, for the  
11 utility, that you would then consider what the  
12 relationship would be between that same price today -- say  
13 it's, like, five cents per kilowatt hour in 1980.

14 If you use that same price today, would that  
15 relationship to the costs of -- to the expenses and the  
16 investment today that is needed today be the same?

17 Is that what you mean by "relationship"?

18 A. What I mean by the relationship is that you  
19 have to look at all three of them combined.

20 And for purposes of our discussion here in  
21 1980, you have to be able to ascertain whether the  
22 relationship that you established -- or that was  
23 established in your test year has maintained itself or if  
24 it needs modification.

25 Q. Maintain itself being based on what the

1 expenses actually are or expected to be for the year in  
2 which the rates are in effect?

3 A. The relationship?

4 I think one of the problems that we're -- we're  
5 having back and forth is, the test year that the Staff  
6 utilized is not a prediction of either the cost, the  
7 revenues or the investment that will be in effect the year  
8 rates are in effect. But that relationship between those  
9 three, we believe -- the Staff believes will be in effect  
10 the year rates are in effect.

11 Q. And by "relationship," do you mean the ratio of  
12 revenues to expenses or the ratio of expenses to  
13 investment, or what exactly do you mean by "relationship"?

14 A. Combining all three of those factors together  
15 within the cost-of-service calculation.

16 I hesitate to use ratio, because in my mind  
17 that would lead to. Is it 40 percent of expenses? Is  
18 that a good ratio? We don't do that type of calculation.

19 That relationship is monitored subsequent to a  
20 test year to see if adjustments need to be made.

21 Q. Is the purpose of a test year -- is the purpose  
22 of the test year to determine what the expenses of the --  
23 is one of the purposes of the test year to determine what  
24 the expenses of the Company are going to be in providing  
25 the service during the time in which the rates are in

1 effect, the new rates are in effect?

2 A. My answer is still no.

3 Q. So that it would be okay to look at how much it  
4 costs to generate electricity in 1960 and say, okay, we're  
5 going to hold you to 1960 expenses and just give you  
6 enough revenues to cover those and that would be fine?

7 A. I -- I never said that.

8 Q. How far back can you go in looking at expenses  
9 to determine what the revenues are going to be -- what  
10 revenue you're going to set for the company in determining  
11 the just and reasonable rates of ratepayers?

12 A. How far back can you go?

13 Q. You have to start with some number. You've got  
14 to start with some number -- some expense number to do  
15 these calculations, don't you?

16 A. Yes.

17 Q. And what is the expense number supposed to  
18 represent?

19 Because I imagine the revenue number is going  
20 to be based on whatever revenues you decide -- in large  
21 part it's going to be whatever revenues you decide a  
22 company can collect from the ratepayers. Correct?

23 A. Well, the revenues have to be -- the revenues  
24 have to be able to be collected.

25 Q. Okay. So it would be -- so your revenues would



1 be a projection of what you think could be collected for  
2 the period in which the rates would be in effect?

3 A. No. There is no prediction of revenues or  
4 expenses for the year rates are in effect.

5 And I'll give you an example.

6 Q. Okay.

7 A. I am very confident that the Staff's level of  
8 payroll included in its cost of service will not be the  
9 payroll that is paid by this Company the year these rates  
10 go into effect.

11 But I am -- or the Staff is confident that the  
12 relationship between payroll and the other components that  
13 we've discussed earlier, that that relationship will be in  
14 effect.

15 Q. But if the expenses you determine for a test  
16 year were, in fact, to all rise by 10 percent during the  
17 first year that the rates are in effect -- I'm not saying  
18 this is necessarily the case.

19 But assume that the expenses go up by  
20 10 percent in the first year in which the rate -- the new  
21 rates are in effect, the only way that that relationship  
22 you're positing would still hold would be if rates were  
23 allowed to go up by 10 percent during the year in which  
24 the rates are in effect.

25 Isn't that true?

1 A. Not necessarily.

2 Q. Well, how would the relationship hold if the  
3 expenses are actually different than in the year in which  
4 the rates are in effect compared to what the test year  
5 expenses are?

6 A. Well, perhaps one of the reasons for the  
7 increase in expenses was because the Company added more  
8 customers.

9 Q. Okay. If they didn't add more customers, if it  
10 was solely a cost -- a function of all of the input  
11 factors of production going up by 10 percent, then there  
12 would no longer be a relationship -- the same relationship  
13 between expenses and revenues as you determined in the --  
14 in setting the rates. Correct?

15 A. Well, in your example are you freezing  
16 everything else? Because cost of capital --

17 Q. I assume the rates are frozen.

18 A. I'm sorry. Go ahead.

19 Q. I assume that if the rates are frozen, that  
20 we're not going to have some adjustable rate plan.

21 I'm trying to determine what you mean by the  
22 relationship between the expenses and revenues and  
23 investment.

24 A. Well, my problem is that -- it seems through  
25 our conversations that you're looking for a mechanism or

1 an amount that says this is going to be the dollars or the  
2 levels the year rates are in effect, and that's not the  
3 purpose of our -- of our test year.

4 Q. What kind of levels are you trying to  
5 determine?

6 A. As I've said before, the Staff has developed --  
7 maybe the use of "relationship" is our stumbling block,  
8 but we've developed a cost of service that has revenues,  
9 expenses and investment.

10 And the combination of those three and the  
11 relationship that that derives the Staff feels will be in  
12 effect the year rates are in effect.

13 Q. And where does the revenue calculation -- how  
14 do you determine the revenue portion of this relationship?

15 A. For purposes of this case the revenues were  
16 calculated at -- were annualized at December 30th, 2000,  
17 customer levels, normal usage, and then the other  
18 components that make up the revenues, interchange sales.

19 Q. Okay. I guess my -- if you compared -- I guess  
20 if you took a test year that was 20 years old, it's  
21 reasonable to conclude that the expenses of the Company in  
22 providing service 20 years ago were probably less than  
23 they are now.

24 Is that true or is that not true?

25 Actually, if you --

1 A. Probably for this Company they'd be less.

2 Q. If you used --

3 A. More. Excuse me.

4 Q. If you used the test year in which the expenses

5 associated with providing the utility service were

6 significantly less than they currently are, and you

7 adjusted the revenues down to match that, would that be

8 the sort of relationship that you're talking about that's

9 determined by looking at the expenses, investments and

10 revenues?

11 A. No. If I chose --

12 Q. What expenses are you trying to cover?

13 I'm sorry.

14 A. The expenses that I set are in relation to the

15 revenues and the investment that's generated.

16 Q. So it's a circular proposition; you can't just

17 identify one portion of it for purposes of the

18 calculation?

19 They're all dependent on each other?

20 A. To use an extreme, I couldn't take the expenses

21 from 20 years ago and apply the revenues to today.

22 Q. And when there are known and measurable -- when

23 there are adjustments made to test-year numbers to reflect

24 known and measurable changes, why is that done?

25 What is the purpose of adjusting for known and

1 measurable changes?

2 A. It's generally the belief of the Staff that the  
3 known and measurable changes are pro forma adjustments, by  
4 including them provides a better relationship of the  
5 factors we've discussed to be applied the year rates are  
6 in effect.

7 However, there have been analysis in known and  
8 measurable periods when no adjustments have been made  
9 because the relationship wouldn't have changed.

10 Q. How do you measure the relationships to  
11 determine whether or not they've changed?

12 Is there some way to quantify that?

13 A. You have to -- again, you have to look at  
14 our -- or through your analysis feel comfortable that the  
15 relationship needs to be adjusted -- or that the component  
16 in those relationships needs to be adjusted. Otherwise,  
17 the relationship would be either under- or overstated  
18 or -- that's correct.

19 Q. And the purpose, then, is to determine what the  
20 relationship is today. Correct?

21 A. "Today" meaning most current?

22 Q. Yeah, most current.

23 What is the -- you can't -- I mean, the  
24 relationship between different variables can change from  
25 year to year to year to year.

1                   How do you know what's the point at which you  
2   measure it and determine the proper relationship, as  
3   you've termed it?

4           A.       I guess I just don't understand your question.

5           Q.       Well, you said that you would make a known and  
6   measurable change adjustment in order to reflect a change  
7   in the relationship, as of when though?

8                   As of what date are you measuring the  
9   relationship between expenses, revenues and investment?

10          A.       Well, for purposes of utilizing an update  
11   period, you would have measured that for the 12 months of  
12   your test year.

13          Q.       But if a known and measurable change will alter  
14   this relationship, the reason an adjustment is made is  
15   because the known and measurable change either exists now  
16   or you know that it will exist in the future. Correct?

17          A.       Well, for it to be a known and measurable  
18   change, it has to be known and measured. And I know that  
19   sounds --

20          Q.       How do you determine which ones are known and  
21   measured?

22          A.       They have to be audited and they have had to  
23   occur. Those are known and measurable.

24          Q.       Okay. And all known and measurable changes  
25   that would alter the relationship between the three

1 variables that you mentioned should give rise to some  
2 adjustment in this process?

3 A. No.

4 Q. Why wouldn't one if it altered this  
5 relationship between revenues, expenses and investment?

6 A. Well, excuse me. I thought you said that all  
7 known and measurable changes should be put into the --

8 Q. All known and measurable changes that affect  
9 the relationship between revenues, expenses and investment  
10 should give rise to some adjustment in this process?

11 A. The reason I'm having trouble agreeing with  
12 your statement is due to the fact that you use "all."  
13 That one -- that phrase bothers me. It gives me concern.

14 If -- and perhaps this might help.

15 If a known and measurable change could be shown  
16 to affect the relationship that was established back in  
17 the test year and it was demonstrated that that change was  
18 not a one-time change or nonrecurring change, and it was  
19 demonstrated that it had not just an impact but it  
20 impacted that relationship to a -- I don't have a  
21 specific, but besides a minor impact, then you would -- I  
22 think you should at least consider including that within a  
23 cost of service.

24 Q. Is there any set formula that you would use to  
25 determine whether the impact was minor or major?

1 A. No.

2 Q. Okay. And is there any particular methodology  
3 that you would use once you determined that the impact was  
4 greater than a minor impact, to decide whether you're  
5 going to make the adjustment or not?

6 A. You'd have to repeat that one.

7 Q. You said that if it's more than a minor impact,  
8 then you would consider whether an adjustment should be  
9 made.

10 Is there some methodology you use to determine  
11 when these greater-than-minor impacts will result in an  
12 adjustment and when they won't?

13 A. Well, they have to be -- in the Staff's view,  
14 they would have to be looked at as a package.

15 Q. Okay. So you would look at all known and  
16 measurable changes that in your determination had more  
17 than a minor impact on these relationships in order to  
18 consider which, if any, adjustments to make?

19 A. I'd agree with that statement to the extent  
20 that those changes are identified to specific operations  
21 or circumstances.

22 Merely looking at an expense level at one point  
23 in time and looking at an expense level at a different  
24 point in time and saying that because of the movement in  
25 that expense level that is a major change or has a major



1 impact without identifying the reasons for that change  
2 would not quantify.

3 Q. Okay. And is there some methodology or formula  
4 you use to determine if the relationships between these  
5 three variables have not changed enough to warrant an  
6 adjustment?

7 How do you determine whether the relationship  
8 has been -- the relationship between these three factors  
9 has been changed by a known and measurable change?

10 A. Is your question when do I -- or when does the  
11 Staff make a decision that known and measurable changes  
12 should be included within the cost-of-service calculation?

13 Q. Not exactly.

14 I guess my question is: We're basing this  
15 discussion on the presumption that the -- in order for it  
16 to be eligible for consideration, the known and measurable  
17 change had to have affected the relationship between  
18 expenses, revenues and investment. Correct?

19 A. I mean -- see if I rephrase and we agree.

20 That absent making a change, that relationship  
21 may not be correct?

22 Q. Yes.

23 A. Okay.

24 Q. How do you determine whether that relationship  
25 changes or not?

1                   What is the method you use to determine whether  
2   that you -- how that relationship has changed so that it  
3   may no longer be correct?

4           A.       My experience as a regulatory auditor,  
5   consultation with other senior Staff members.

6           Q.       So it's not strictly a mathematically  
7   quantifiable thing?

8           A.       No.

9           Q.       Attached to your testimony was a schedule,  
10   Schedule 1-1, that lists the cases in which you've  
11   provided testimony in the past. Is that correct?

12           MR. DOTTHEIM: Mr. Wolski, I don't know if you  
13   happen to know Mr. Busch from the Office of Public  
14   Counsel. He joined us a while ago. I didn't know if you  
15   wanted to reflect that in the record.

16           MR. WOLSKI: We'll be happy to welcome you  
17   aboard.

18           MR. DOTTHEIM: Mr. Busch is a technical member  
19   of that Staff.

20           MR. WOLSKI: Welcome to our happy pow-wow.

21   BY MR. WOLSKI:

22           Q.       Schedule 1-1, is this a list of the cases that  
23   you've provided testimony in in the past?

24           A.       Yes, it is.

25           Q.       Okay. If we could briefly go through the list.

1                   And what I'm interested in determining is which  
2 of these cases you recall your testimony to have included  
3 the pension and OPEB items.

4           A.       On the methodology presented today?

5           Q.       On any consideration of pension and OPEBs.

6                   Do you recall which cases you have testified in  
7 the past on pension and OPEB?

8           A.       Testified or filed testimony?

9           Q.       I mean filed testimony.

10          A.       No, I do not.

11          Q.       Have you testified on pension and OPEBs in the  
12 past, prior to that case?

13          A.       Not in -- not on this methodology.

14          Q.       But under any methodology?

15          A.       I just don't recall.

16          Q.       So this case might be the first time that  
17 you've ever provided written testimony on the pension and  
18 OPEBs for the Public Service Commission?

19          A.       I don't believe that's what I said. I said  
20 that I don't recall which case I would have provided  
21 pension or OPEBs testimony on.

22          Q.       But you have provided pension and OPEBs  
23 testimony in the past?

24          A.       As I answered before, I said I don't recall  
25 which cases.

1 Q. Do you recall ever having covered that issue  
2 before in prefiled testimony?

3 A. I believe I have written testimony on pension  
4 and OPEBs in the past. I do not recall which cases they  
5 were.

6 Q. Okay. And you know that you do not follow the  
7 methodology that you've used in this current case?

8 A. This is the first time I've testified in this  
9 methodology.

10 Q. So do you believe that the methodology that you  
11 include in the past cases was incorrect?

12 A. At the time of their filings, no.

13 Q. But the events have changed since the time of  
14 the filing that would make the methodology employed in the  
15 past no longer accurate or no longer appropriate?

16 A. That's correct.

17 Q. And what would those changes be?

18 A. Well, as I state in my testimony on page 3,  
19 Missouri law requires us to calculate OPEBs expense  
20 according to FAS 106.

21 Q. And do you believe you were not calculating it  
22 according to FAS 106 in your previous testimony?

23 A. I'm sure I wasn't.

24 Q. Pardon?

25 A. I'm sure I wasn't.

1 Q. Is that because the testimony was prior to  
2 1994?  
3 A. Correct.  
4 Q. Okay. So since 1994 you haven't provided any  
5 pension or OPEB testimony to your knowledge?  
6 A. Correct.  
7 This will make it easier.  
8 I haven't provided testimony on pensions and  
9 OPEBs under 106 or 87 until this.  
10 Q. So it would have been very early in your --  
11 A. That's why I was having trouble.  
12 Q. Okay. AND FAS 87 was adopted -- what was it,  
13 1987?  
14 A. Correct.  
15 Q. So to make sure I understand that, so you had  
16 not provided any pension or OPEB testimony since 1987?  
17 A. Correct.  
18 Q. Okay. Which is why you would have a hard time  
19 remembering which of the old cases --  
20 A. Right.  
21 Q. Okay. I got you. Understood.  
22 So the changes in methodology that you are  
23 proposing in your testimony are based on the application  
24 of FAS 87 and FAS 106?  
25 A. Excuse me?

1 Q. The methodology that you propose in your direct  
2 prefiled testimony are -- that that methodology is  
3 different than the past methodologies because now you're  
4 operating pursuant to FAS 87 and FAS 106?

5 A. The testimony that I would have provided  
6 earlier in my career would have been based on different  
7 assumptions than the testimony that I am providing in this  
8 current case, that's correct.

9 Q. Okay. Because FAS 87 and FAS 106 require  
10 companies to arrange their pensions and OPEBs in a way  
11 differently than they may have been arranged back when you  
12 had provided the prefiled testimony in the pre-1987 era?

13 A. That's my understanding.

14 Q. Okay. Do you have a copy of the Staff's  
15 responses to the first set of interrogatories?

16 A. What document, again, were you looking for?

17 Q. Staff's responses to the first set of  
18 interrogatories.

19 A. Yes.

20 Q. And you should have one that's a composite, I  
21 guess, of several responses that had been put together  
22 over time.

23 In these responses you're identified as having  
24 reviewed the testimony of a number of the Staff witnesses.  
25 And I imagine that that was at least in part in your role

1 as the case coordinator?

2 A. Correct.

3 Q. So, for instance, in Interrogatory Response  
4 No. 4 you're identified as having reviewed a draft of  
5 Allen Bax's testimony. It's on page 22 of the response.

6 In No. 6 you're identified as having provided  
7 suggestions and revisions to words and phrases  
8 subsequently incorporated in the direct testimony.

9 Do you recall making any substantive changes to  
10 the testimony of Mr. Bax when you reviewed it?

11 By "substantive" I mean a change in  
12 methodology, a change in numbers.

13 A. From what he submitted to me?

14 Q. Yes.

15 A. No.

16 Q. Okay. And responses to 7, 8 and 9, you're also  
17 identified as having reviewed and participated in the  
18 preparation of Leon Bender's testimony.

19 Do you recall what role you might have played  
20 in reviewing or participating in that testimony?

21 A. The same as Mr. Bax.

22 Q. It would just be suggesting revisions to words  
23 and phrases; nothing of substance, no number changes or  
24 method changes?

25 A. The input I had for Mr. Bender's testimony

1 would not have changed his positions.

2 Q. Okay. And the response to No. 10, 11 and 12,  
3 the participation of the people listed in response to  
4 No. 11 is described in the response to No. 12 as review  
5 for grammatical errors, misspelling, typos and other  
6 administrative items.

7 Would you happen to know what "other  
8 administrative items" might mean?

9 A. I wouldn't want to speculate to that, no.

10 Q. So you didn't make any administrative changes  
11 to Mr. Bible's testimony?

12 A. Could you repeat that? I'm sorry.

13 Q. Did you review Mr. Bible's testimony for  
14 administrative items?

15 A. Since I don't know what his interpretation of  
16 "administrative items" is, I don't know.

17 I would tell you --

18 Q. What was your review of his testimony?

19 A. My review of Mr. Bible's testimony would  
20 probably have encompassed the first three or four areas  
21 that he identified in response to 12.

22 Q. So that would be just grammatical errors,  
23 misspellings, typos?

24 A. Correct.

25 Q. No substantive changes?



1 A. As a result of my review of Mr. Bible's  
2 testimony, his position didn't change.

3 Q. Okay. By his position not changing, you mean  
4 he didn't adopt a different methodology or he didn't alter  
5 his numbers?

6 A. Correct.

7 Q. And Nos. 13 through 15, the testimony of  
8 John P. Cassidy, what was your review and participation in  
9 his testimony?

10 Would that be the same as the previously  
11 mentioned people?

12 A. In the review? I'm sorry.

13 Q. Yes. You reviewed Mr. Cassidy's testimony?

14 A. Yes.

15 Q. And you participated in some manner in his  
16 preparation of his testimony?

17 A. Correct.

18 Q. And what was that participation?

19 What did you do in reviewing his testimony?

20 A. I sort of look at those as two different areas.

21 Reviewing the testimony and then participating  
22 in the testimony are different in my mind.

23 For the participation, Mr. Cassidy and I would  
24 have had discussions, verbal discussions, about his  
25 testimony, and then he would have drafted the testimony.

1 Q. So for Mr. Cassidy you may have suggested a  
2 particular method he might use in any of his items?

3 A. No, no.

4 Generally, the Staff's positions are finalized  
5 by the time the testimony is drafted. So the drafting of  
6 the testimony is merely to support the work of the Staff  
7 to that date.

8 Q. And who determines those positions?

9 Who on the Staff would be the one who would  
10 determine those positions?

11 A. Generally the witness, the Staff member, can  
12 prepare the issues. To the extent that they do not  
13 deviate from past Staff precedent, many times the review  
14 process of the testimony is sufficient.

15 Q. So then what you're saying is that the position  
16 that's taken in each of the testimonies is determined by  
17 the person doing the -- the person filing the testimony  
18 beforehand, that they go through workpapers and make  
19 calculations and reach the position, and then the  
20 testimony is merely a formalizing of the position that  
21 they themselves have reached?

22 Is that how the process works?

23 A. That's probably too complicated.

24 The Staff witnesses or Staff auditors, other  
25 individuals, would develop their areas.

1           If those areas were developed consistent with  
2 past Commission -- excuse me -- past Staff and/or  
3 Commission precedent, the drafting of the testimony would  
4 only encompass making sure that that testimony was in  
5 conformance in describing the position of the Staff.

6           Q.       And who has the responsibility of determining  
7 whether the position -- the tentative position reached by  
8 the auditor assigned to the area is in conformity with  
9 past Staff precedence?

10          A.       Several individuals.

11          Q.       Can you name which individuals would have had  
12 that responsibility in this case?

13          A.       Jim Schweiterman as the lead auditor would have  
14 had responsibility to make sure certain areas were  
15 performed in conformance with past Commission precedent.

16          Q.       You say "certain areas."

17                   Are there automatically certain areas that the  
18 lead auditor usually checks?

19          A.       Generally the lead auditor is responsible for  
20 supervising -- or for the supervision of the work  
21 performed by the Accounting Staff.

22          Q.       And do you also have Staff members who are not  
23 accountants who work on testimony?

24          A.       Yes.

25          Q.       And would there be anyone who would supervise

1 their work to ensure that it's followed -- it follows the  
2 Staff precedence?

3 A. Are you speaking generically?

4 Q. In this particular case.

5 A. For this particular case, I'm aware that both  
6 myself and Lena Mantle would have been responsible to  
7 hopefully provide the cost-of-service calculations  
8 consistent with past Staff precedent on Commission  
9 decisions.

10 If there was a variance from that, it would  
11 require additional approvals.

12 Q. And --

13 A. I'm also --

14 Q. I'm sorry.

15 A. I'm also aware that other individuals would be  
16 involved in that -- in the process of -- I don't want to  
17 say checking workpapers, but verifying that the positions  
18 were consistent with what we -- what the Staff has done in  
19 other cases.

20 Q. So it's important in putting together the filed  
21 testimony that the Staff not depart from past Staff  
22 precedent?

23 A. It's important not to?

24 Q. Yes.

25 A. No.

1 Q. It's important to know whether or not you're  
2 departing from past precedent?

3 A. I think what I was trying to say is it's  
4 important to justify why the past Staff precedent or  
5 Commission decision is not being followed, as that would  
6 ultimately need to be discussed within -- within the  
7 Staff.

8 Q. And for this particular case, in addition to  
9 Jim Schweiterman, yourself and Lena Mantle, would there be  
10 any other Staff members who would need to discuss and were  
11 approve a deviation from past Staff precedent?

12 A. I wouldn't be aware of all Staff discussions  
13 regarding either adherence to past Staff precedent or  
14 Commission decision.

15 Q. Do you have a formal policy in place that  
16 determines how the Staff will approve or disapprove of  
17 changes from past precedent?

18 A. I'm not sure if it's a formal procedure.

19 For purposes of this case, if I felt that a  
20 position either wasn't consistent or may be new precedent,  
21 I would keep Bob Schallenburg apprised of those movements.

22 Q. And would he need to sign off on any changes  
23 from past precedent?

24 A. I don't know that it's specifically a sign-off.  
25 If we had a discussion and he felt comfortable with the

1 direction that the audit or the case was going, we would  
2 proceed. The Staff would proceed.

3 Q. Have all of the changes from past Staff  
4 precedent that have been proposed in the testimony in this  
5 case been approved by Mr. Schallenburg?

6 A. I can't -- I can't speak to specific approvals.  
7 Mr. Schallenburg would have been made aware of  
8 changes through coordination meetings or discussions with  
9 either myself, Mr. Dottheim, other members of the Staff.

10 Q. If Mr. Schallenburg disapproved of a proposed  
11 deviation from Staff precedent, would that change from  
12 Staff precedent still be proposed in the prefiled  
13 testimony?

14 A. I'm not aware of any position that's filed in  
15 the Staff's cost of service that Mr. Schallenburg objected  
16 to.

17 Q. And are you confident that all changes in  
18 positions from past precedent would have been brought to  
19 his attention?

20 A. Again, I have problems with the word "all," but  
21 I feel confident that departures from past precedent,  
22 either Commission orders or Staff positions, various  
23 individuals would have been discussed with  
24 Mr. Schallenburg.

25 Q. So it's very likely that any change from past

1 Commission precedent or Staff precedent would have been  
2 discussed with him?

3 A. Yes. And --

4 Q. You said not all just because you --

5 A. And I need to explain, probably.

6 Commission precedent and Staff precedent,  
7 whichever would be the most recent. They're separate.

8 Q. Those are two different categories?

9 A. Yes.

10 Q. But each category would have been reviewed?

11 If it was a change from Staff precedent or if  
12 it was a change from Commission precedent, that would  
13 require some discussion and review probably with  
14 Mr. Schallenburg?

15 A. Yes.

16 I mean, for example, the net salvage issue  
17 would have been discussed with Mr. Schallenburg.

18 Q. And Mr. Schweiterman is lead auditor and  
19 yourself and Ms. Mantle, I guess, were area coordinators?

20 A. Project or case coordinators.

21 Q. You also would have been appraised of changes  
22 from past precedent?

23 A. We attempted to keep abreast, yes.

24 Q. Is there anyone else in this -- who worked on  
25 this particular case who was in a position to approve or

1 disapprove of changes from past precedent?

2 A. It would be my understanding that if that  
3 situation occurred, Mr. Schallenburg would have been  
4 informed.

5 Q. Okay. But there is nobody else who acts as a  
6 screen or a filter below Mr. Schallenburg who would veto a  
7 change that was proposed before it would get to him?

8 A. When you say "veto a change," would that be  
9 moving --

10 Q. Retaining a prior position.

11 I mean, if a Staff witness reached a conclusion  
12 that constituted a change in position from the past  
13 precedent, is there somebody else between that person and  
14 Mr. Schallenburg who would review it and could say, no,  
15 this is a change from past precedent, don't do it this  
16 way, keep our earlier position?

17 A. Generally speaking, that would have been either  
18 through myself, Lena Mantle or Mr. Dottheim.

19 But I don't recall at any time an individual at  
20 the Staff saying that a change in position couldn't be  
21 explored by Mr. Schallenburg.

22 Q. Okay. So they all would end up going to  
23 Mr. Schallenburg?

24 A. Theoretically they're supposed to go through  
25 the project coordinator and the case coordinators, but



1 that doesn't always happen.

2 Q. Okay. And the role of the lead auditor in one  
3 of these cases is to keep track of the work being done by  
4 the accountant witnesses?

5 A. Generally speaking.

6 Q. And does that job go throughout the case from  
7 the filing -- from the preparation of the filing of  
8 testimony, all of the way up to the hearing?

9 A. Generally.

10 Q. But in this particular case Mr. Schweiterman is  
11 no longer with the Staff. Correct?

12 A. That's correct.

13 Q. And have the lead auditor duties been passed  
14 off yet, to your knowledge?

15 Again, if you don't know the answer to  
16 something --

17 A. Not officially.

18 We -- the Accounting Department has not  
19 discussed who the replacement would be, or even if a  
20 replacement will be named.

21 Q. But informally has anyone on the Staff taken on  
22 the burden that Mr. Schweiterman would have shouldered as  
23 the lead auditor?

24 A. Internally I've had discussions with  
25 Mr. Rackers, Steve Rackers, to -- and in conjunction with

1 reassigning Mr. Schweiterman's and Mr. Griggs' area.  
2 We've discussed our -- the strategy or the Accounting  
3 Department strategy to complete the case.

4 Those discussions haven't gone beyond  
5 Mr. Rackers and myself.

6 Q. Are you saying that the lead auditor function  
7 is currently being performed by yourself and Mr. Rackers,  
8 not officially but informally?

9 A. That would be correct.

10 Q. Okay. Is there any policy in place that the  
11 Staff uses to determine when it should depart -- I'm  
12 sorry -- when it should depart from past precedent?

13 We've talked about the process that is  
14 followed. Do you know if there is any policy that would  
15 dictate when a precedent can be departed from?

16 A. I'm not aware of one.

17 Q. Okay. So for the witnesses that you're  
18 identified in the interrogatories as having had a hand in  
19 preparing their testimony, one of the roles that you might  
20 have played would have been discussing the topics of their  
21 testimony with them beforehand.

22 Is that a fair --

23 A. That would -- excuse me. That would definitely  
24 apply to the accountants. To individuals outside of the  
25 accounting --

1 Q. So is Cassidy the first person of the ones that  
2 we've gone through that that applied to?

3 A. John Cassidy is an accountant, yes.

4 Q. Because we talked about Bax, Bender and Bible,  
5 but all we were talking about was typographical  
6 corrections and whatnot?

7 A. Right. I mean, Mr. Bible, Mr. Bax and  
8 Mr. Bender are not in the Accounting Department.

9 Q. And Mr. Gibbs, Doyle Gibbs, interrogatory  
10 response 16 through 18, you're identified as reviewing his  
11 testimony and participating in it.

12 He's one of the Accountant Staff?

13 A. That's correct.

14 Q. So your participation also would have included,  
15 I guess, discussing the topics that he would be covering  
16 before he wrote the testimony?

17 A. Generally.

18 I think just so it's clear, the interaction  
19 between myself and the accounting witnesses can vary  
20 dramatically between individuals based on their experience  
21 at the Commission.

22 Q. So your direction of Mr. Cassidy -- did you  
23 assign Mr. Cassidy his items that he covered?

24 A. Is your question, was I the one ultimately  
25 responsible to sign out the areas?

1 Q. Yes.

2 A. No.

3 Q. And who would that be?

4 A. The issues were compiled with the witnesses and  
5 approved by Mr. Schallenburg.

6 Q. Okay. So Mr. Schallenburg would be the person  
7 who would determine ultimately which Staff witness would  
8 handle which issue?

9 A. I'm not sure if it's that detailed.

10 I provided a list in consultation with other  
11 members of the Accounting Department of the witnesses and  
12 areas they should address. Mr. Schallenburg reviewed  
13 those, that recommendation, with an emphasis on employee  
14 development and regulatory experience.

15 Q. Employee development meaning is this a good  
16 opportunity for the witness to learn how to do a  
17 particular audit.

18 A. Yes.

19 Q. Okay.

20 A. Area.

21 Q. Area.

22 And experience would be if it was a complicated  
23 area, perhaps that you needed a witness that had  
24 experience in that area before?

25 A. All of those things, coupled with what is the

1 current workload of the individual being assigned.

2 The problem with it was that the Staff in the  
3 Accounting Department was fluid at the very beginning of  
4 the project. Certain individuals were moved off of the  
5 project and other individuals were moved on because of  
6 workload.

7 And then coupled with that was two of the  
8 Accounting witnesses left the Commission after they filed  
9 the testimony.

10 Q. Is that Mr. Griggs and Mr. Schweiterman?

11 A. Yes.

12 Q. Okay. Can you identify areas that the Staff  
13 would normally assign to experienced auditors due to the  
14 nature of the area?

15 A. Is your question, certain areas of an audit,  
16 does that lend itself to certain auditors being assigned  
17 to those areas?

18 Q. Essentially.

19 You had mentioned that the things that were  
20 considered in the assignments are the employee development  
21 and their experience, and I was wondering if there are  
22 certain areas that you would -- that would lend themselves  
23 to a witness with experience as opposed to someone who is  
24 learning it on the job.

25 A. Well, obviously, auditors that have just begun

1 their jobs with the Commission would not be assigned the  
2 more difficult areas.

3 Q. And what would be the more difficult areas, in  
4 your opinion?

5 A. Fuel, revenue, pensions and OPEBs, income  
6 taxes. Those are examples.

7 Q. Are there any other difficult areas that you  
8 can think of that would normally be assigned to the more  
9 experienced auditor?

10 A. Without going through the list, I would say I  
11 just gave you some examples there. It's not exhaustive.

12 I can take the time and look at the whole case  
13 if you'd like. I was just giving you examples.

14 There wasn't a -- there wasn't a conscious  
15 decision to keep anybody from doing an area.

16 Q. Based on experience?

17 A. We looked at workload, the development of the  
18 employees. Or at least this was the final factors that  
19 Mr. Schallenburg weighted on.

20 Q. Is the total dollar impact of an area that's  
21 being looked at one consideration in deciding whether to  
22 assign it to a more junior or a more senior auditor?

23 A. Not necessarily.

24 Q. Okay. Did you give any particular direction to  
25 Mr. Cassidy as to how he should -- what methodology he

1 should approach in doing his testimony, methodology he  
2 should adopt in doing his testimony?

3 A. Again, I would probably restate that the  
4 drafting of the testimony at that stage generally is a  
5 recounting of the position that the auditor or the Staff  
6 member has already developed.

7 Q. Did you help determine what the positions  
8 should be that Mr. Cassidy's testimony -- that would be  
9 taken in Mr. Cassidy's testimony?

10 A. I'm sure I provided suggestions through the  
11 audit. Specifically I can't remember where I said you had  
12 to do this. That was never the case.

13 Q. Okay. So you can't -- so to be clear, you  
14 can't recall any instance that you recall you told him  
15 that he had to do something a certain way?

16 A. Not that I can recall.

17 Q. Okay. Is the same thing for Mr. Gibbs?

18 A. Correct.

19 Generally, all of the witnesses by the filing  
20 of the testimony support the areas that they're in.

21 Q. But you didn't direct Mr. Gibbs to have any --  
22 to take any particular positions on his issues?

23 A. Not that he didn't feel comfortable with. No  
24 witness would have -- no witness is required to file an  
25 issue that they don't either support or believe.

1 Q. Are there any occasions that you can recall in  
2 this particular case in which you had asked one of the  
3 Staff witnesses to change the position they were taking  
4 and they agreed and changed their position?

5 A. I'm not aware of any situation where  
6 discussions were held between myself and other members of  
7 the Staff who were working on the audit where a position  
8 was told that it had to be changed, that the witness  
9 didn't agree to or already had developed.

10 Q. Okay. And were there any instances that you  
11 recall in which you suggested that a position that had  
12 been developed, be changed and that the witness then  
13 agreed and changed it?

14 A. Can you repeat that?

15 Q. Yeah.

16 Are there any suggestions you might have  
17 made -- that you can recall in the course of this case  
18 that you made to a witness that the witness agreed to  
19 make?

20 A. I'm sure there were during the course of the  
21 audits. That's probably done -- I don't want to say all  
22 of the time, but it is not --

23 Q. It's fairly common?

24 A. Well, to have discussions between auditors  
25 and -- because of our -- the experience that our senior



1 auditors have, making suggestions that perhaps you'd like  
2 to -- you need to look at this or did you consider this,  
3 and through that regulatory experience the auditors  
4 proceed and develop the issues.

5 Q. But you can't recall offhand any particular  
6 suggestions -- any particular suggestion you may have made  
7 to an auditor to change their position?

8 A. I mean, as an example, I recall Mr. Cassidy and  
9 I had a discussion regarding his handling of the legal  
10 expense -- accrual. Excuse me. Strike that -- the  
11 environmental expense accrual for the purposes of the rate  
12 case.

13 Q. Do you recall any similar suggestions made to  
14 Mr. Gibbs?

15 A. I can't recall.

16 Q. Or Mr. Griggs, Mark Griggs?

17 A. Well, like I said before, there is numerous  
18 discussions that occur within the context of the audit  
19 that -- that because of those discussions either new areas  
20 are looked at within the context of the audit or new  
21 avenues are pursued. There is no documentation, though,  
22 kept of those discussions.

23 Q. By the time that the testimony draft is  
24 reviewed by you, the positions taken have already been  
25 worked out, so that that is why in the interrogatories the

1 review is being described as one for typos and grammatical  
2 changes and whatnot, because any discussions about  
3 methodology would have taken place prior to testimony  
4 being written?

5 A. I would generally agree with that. There is  
6 usually few surprises by the time the testimony is  
7 formatted.

8 Q. So you don't recall making any substantive  
9 changes to Doyle Gibbs' testimony?

10 A. No.

11 Q. Or Mark Griggs' testimony?

12 A. Again, this would be in the context that  
13 because of my review the position was changed?

14 Q. Yes.

15 A. No.

16 Q. Okay.

17 Or Paul Harrison's testimony?

18 A. No.

19 Q. And you reviewed Lena Mantle's testimony.

20 Any substantive changes there?

21 A. Given --

22 Q. You're identified as general overview?

23 A. That's correct.

24 Q. And what would that entail?

25 A. I don't know what her definition of "general

1 overview" is. I reviewed her testimony. My review didn't  
2 change her position.

3 Q. Okay. And also Jolie Mathis --

4 A. Correct.

5 Q. -- no changes in position?

6 Now, on page 17 of the interrogatory response,  
7 you're identified as being one of the people involved in  
8 the response to Interrogatory No. 73.

9 Could you turn to Interrogatory Response 73 on  
10 64?

11 Do you recall what part you might have played  
12 in making this response?

13 A. What role I played in that response?

14 Q. In the response, yes.

15 A. I would have coordinated the distribution and  
16 data between Mr. Bible and Mr. Rackers to make the  
17 calculations on page 27 of the February 1 report.

18 The basis for the statement contained in  
19 73 would have been done in discussions of the Staff in  
20 preparation of the February 1 report --

21 Q. Okay.

22 A. -- which I was involved.

23 Q. And in coordinating the data, would you have  
24 been the person who calculated what the excessive earnings  
25 would have been as alleged by the Staff on page 27 of the

1 report?

2 A. No. I believe Mr. Rackers testified in his  
3 deposition that he did that calculation.

4 Q. So in coordinating the data, you recall merely  
5 making sure that Mr. Bible provided his number and  
6 Mr. Rackers did his calculation?

7 A. Yes.

8 Mr. Bible, I believe, gave me the information  
9 and I forwarded it to Mr. Rackers.

10 Q. Okay. And you didn't review Mr. Bible's return  
11 on the common equity number for purposes of determining  
12 whether that would have been the Staff's position in any  
13 given year?

14 A. I reviewed the numbers he provided, but I did  
15 not make a determination if those were correct.

16 Q. Okay. And you were also identified as having a  
17 hand in the response to No. 76, and that begins -- No. 74  
18 is on page 67 of the Staff's response.

19 Do you recall what participation you would have  
20 had in making this response?

21 A. My role in response to 74 would have been --  
22 again, been through discussions that the Staff had in  
23 relation to compiling the Staff's EARP report for  
24 February 1.

25 The specific statement I believe was drafted by

1 Mr. Dottheim.

2 Q. Okay. He's not in the hot seat. It's one seat  
3 removed.

4 A. That's why I blamed him.

5 Q. You can blame Mr. Rackers too. He's two seats  
6 down. He's already had his fun.

7 In No. 75 you've also been identified as having  
8 a hand in answering.

9 A. Yes.

10 Q. Do you recall what your participation would  
11 have been in this?

12 A. I would have provided the basis for the  
13 response directly under 75 for the targeted separation  
14 plan as mentioned.

15 Q. What plan? I'm sorry?

16 A. Targeted separation plan. It's described on  
17 page 70.

18 Q. Okay.

19 A. At this time that's all I can directly  
20 attribute to.

21 Q. And there were a few more auditors, I believe,  
22 whose testimony you might have reviewed or participated  
23 in.

24 Do you recall suggesting any changes in  
25 positions for the items that Mr. Rackers handled?

1 A. No.

2 Q. Or Mr. Schweiterman?

3 A. I think I informed Mr. Schweiterman that he  
4 needed to put testimony in regarding test year.

5 Q. Okay. That was just to fill a gap that wasn't  
6 being handled?

7 You weren't telling him to change your  
8 position; you were just saying to add a section on test  
9 year?

10 A. Correct.

11 Q. Okay. And Ms. Teel?

12 A. Ms. Teel's testimony would have had very few  
13 modifications since her areas were largely derived from  
14 past Commission precedent and Staff testimony.

15 Q. So there would have been no need for a change  
16 in position to be suggested; that you were confident that  
17 the positions weren't changed?

18 A. For a large part of her testimony, that's  
19 correct.

20 Q. And you can't recall any suggested changes in  
21 position for the other portions of the testimony?

22 A. None that aren't identified in the response.

23 Q. And Mr. Watkins, did you make any suggested  
24 changes in his positions that he was taking prior to his  
25 writing the testimony?

1 A. Nothing that would have changed his position.  
2 Q. And you didn't suggest any substantive changes  
3 when you reviewed Mr. Rackers' testimony?  
4 A. No.  
5 Q. Or Mr. Schweiterman's testimony?  
6 A. To change their positions, no.  
7 Q. Or Ms. Teel's?  
8 A. I don't recall in Ms. Teel's, because I'm not  
9 sure if Ms. Teel and I didn't have some discussions about  
10 the classifications of certain ads in the context of her  
11 testimony.  
12 Q. But you can't recall any specifics of these  
13 discussions right now?  
14 A. No.  
15 Q. Okay. Now, your testimony was originally  
16 drafted by Mr. Traxler?  
17 A. Correct.  
18 Q. And does that mean that Mr. Traxler was  
19 originally assigned the role of -- assigned the  
20 responsibility of determining what the Staff's positions  
21 would be on the pension and OPEB issues?  
22 A. I wouldn't agree with that.  
23 Mr. Traxler possesses the most expertise in  
24 these two areas from the Accounting Department.  
25 Q. So that when the Staff position was being

1 formulated for the two areas of your prefiled testimony --  
2 by the two areas I mean pensions and OPEBs -- were you the  
3 person who was responsible for determining what the Staff  
4 position would be?

5 A. When I was assigned the areas of pension and  
6 OPEBs, it was my belief that the traditional OPEBs and  
7 pensions adjustments, as have been previously calculated  
8 in the most recent past, would be used for purposes of  
9 this case.

10 MR. DOTTHEIM: Mr. Wolski, are we approaching a  
11 good time to break for lunch? I don't mean to stop you in  
12 the middle of a line --

13 MR. WOLSKI: Yeah, I guess we can do it. We  
14 can break for lunch.

15 We can go off the record now.

16 (THE LUNCH RECESS WAS TAKEN.)

17 BY MR. WOLSKI:

18 Q. Okay. Mr. Meyer, you had mentioned that there  
19 was -- during the break you mentioned that there was  
20 something you wanted to clarify from your earlier  
21 testimony today.

22 A. Yes. I think earlier this morning we talked --  
23 or talked about the change of position by the Staff  
24 regarding FAS 87 and 106 being tied specifically to the  
25 dates that those pronouncements were enacted.



1           And I just -- I misspoke this morning. The  
2 Staff moved to the adoption of 87 more so in the time  
3 frame of the requirement that Missouri law placed on the  
4 adoption of 106, FAS 106. That would have been more the  
5 time frame of when the Staff moved to adopt 87.

6           Q.       I believe that was in 1994 when Missouri law  
7 adopted the requirement of following the 106?

8           A.       Right.

9                   Prior to that the Staff in many rate cases  
10 before the Commission had not adopted 87.

11          Q.       Okay. So then rather than 1987 as the dividing  
12 line from when your prior testimony on pensions and OPEBs  
13 would have been under different methods, it actually could  
14 have been as late as '93 or '94, I suppose, before the law  
15 was --

16          A.       Correct.

17          Q.       Okay. Thanks for clarifying that.

18                   Now, before we broke we were discussing the  
19 fact that Mr. Traxler had drafted the testimony on  
20 pensions and OPEBs originally.

21                   And I would like, if you could, for you to  
22 explain what the process was by which the Staff adopted  
23 its position in this particular case on the pension and  
24 OPEB issues.

25          A.       I'm sorry. Could you rephrase the question?

1 Q. Sure.

2 Earlier we were discussing the process that the  
3 Staff followed in determining what the Staff position  
4 would be on particular issues before testimony had been  
5 drafted.

6 And in this particular instance the testimony  
7 was drafted initially by Mr. Traxler, I believe.

8 Is that correct?

9 A. That's correct.

10 Q. Now, was Mr. Traxler the person who worked on  
11 developing what the Staff's position would be on pensions  
12 and OPEBs in this case prior to the drafting of the  
13 testimony?

14 A. No. I would have been responsible for  
15 gathering the information, requesting the information, to  
16 develop the Staff's adjustments as they related to these  
17 areas.

18 I would have consulted with either Mr. Rackers  
19 or Mr. Traxler on the issuance of data requests and the  
20 gathering of information and the development of the  
21 adjustments themselves.

22 Q. And this testimony, again, is the  
23 first testimony you've given on pension and OPEBs in  
24 seven years. Correct?

25 A. At least.

1 Q. Is there any particular reason why you had been  
2 assigned to do the pension and OPEBs issues since you  
3 hadn't done them in so long, considering that you hadn't  
4 done them in so long?

5 A. Ultimately it was Mr. Schallenburg's decision  
6 that I needed to get the exposure to this area, being one  
7 of the senior accountants in the department.

8 Q. Okay. Now, is it typical that a different  
9 Staff member will draft the testimony for areas that were  
10 handled by a different auditor?

11 A. No. This is an exception.

12 Q. And is it an exception because Mr. Traxler is  
13 the -- I think you said was the Staff expert on pension  
14 and OPEBs?

15 A. No.

16 I simply didn't have the time towards the end  
17 of the period to file -- to draft the testimony and get it  
18 filed with the other responsibilities I had with the case.

19 Q. Okay. But you had pulled together all of the  
20 numbers and made the -- and constructed the workpapers and  
21 did the calculations for these areas. Correct?

22 A. I was able to retrieve the numbers from the  
23 reports, set them up -- the format had previously been  
24 used by another auditor, attempt to quantify the  
25 adjustments.

1 I still relied on Mr. Rackers and Mr. Traxler  
2 to go through the calculations with me.

3 Q. Okay. But then when it came down to putting it  
4 on -- putting the position on paper, you didn't have the  
5 time given your other -- the other demands on your time at  
6 work. So that's why Mr. Traxler had stepped in and  
7 drafted the initial draft?

8 A. Right. I started -- I started to work on the  
9 testimony, but given the other responsibilities to get the  
10 case filed, I couldn't complete both.

11 Q. Okay. And did Mr. Traxler review all of the  
12 workpapers of yours relating to pensions and OPEBs when he  
13 wrote this, the draft of the testimony?

14 A. Mr. Traxler would have reviewed the one -- the  
15 one workpaper and then the supporting documentation.

16 Q. Okay. And he drafted the initial -- or he  
17 drafted the first draft of the testimony.

18 How much of this was changed by you prior to  
19 your filing it? Do you recall?

20 A. Very minimal amounts.

21 Q. But this is your testimony?

22 You stand by everything in here, given that  
23 those numbers have to be corrected, but all of the  
24 statements in the testimony are yours?

25 A. They're under my affidavit.

1 Q. Now, on page 3 of your prefiled testimony,  
2 lines 21 through 23, you're, I believe, describing the  
3 1994 Missouri law that requires FAS 106 to be applied.

4 And you state that the Commission must adopt  
5 the FAS 106 method for ratemaking purposes as long as the  
6 assumptions used by the utility are considered reasonable  
7 and the amounts collected in rates are placed in an  
8 external fund by the utility.

9 Do you have a particular method that is used to  
10 determine whether the assumptions used by a utility are  
11 reasonable?

12 A. No.

13 Q. Does the Staff have a particular policy or  
14 methodology that it would follow to determine if the  
15 assumptions used by a utility are reasonable?

16 A. I'm not aware that the Staff has challenged an  
17 actuarial assumption in the context of the OPEBs and  
18 pensions area in the recent past.

19 Q. So this has never -- so to your memory this has  
20 never been an issue where there have been assumptions used  
21 that would be deemed unreasonable?

22 A. The actuarial assumptions?

23 Q. Yes.

24 A. The assumptions that are referenced in your  
25 testimony, lines 21 to 23.

1       A.       The way that I read that testimony would be the  
2 actuarial assumptions.

3               And the answer would be, I didn't challenge  
4 those.

5       Q.       Now, are you making a distinction between  
6 actuarial assumptions and financial or accounting  
7 assumptions in that answer?

8       A.       Yes.

9       Q.       Is there any policy or method used by the  
10 Commission Staff to determine whether the financial/  
11 accounting assumptions, as you've identified them in your  
12 testimony, that were used by a utility would be  
13 unreasonable?

14       A.       It's the Staff's belief that the use of the  
15 financial assumptions as contained in my adjustments are  
16 reasonable assumptions.

17       Q.       So that if the adjustments that you propose are  
18 not followed, that would be unreasonable?

19       A.       Are you asking me if the Commission made a  
20 determination that -- not to --

21       Q.       Let me rephrase that.  Maybe I'll make it  
22 clearer.

23               On page 3 of your testimony, you say that the  
24 Commission's obligation to adopt the FAS 106 method is  
25 contingent on the assumptions used by the utility being

1 reasonable.

2 And on page 4 you list five assumptions that  
3 you put under the category of financial and accounting  
4 assumptions.

5 Does the Staff have any policy or methodology  
6 that it uses to determine whether any of these financial/  
7 accounting assumptions that you've identified on page 4,  
8 when used by a utility, would be unreasonable?

9 A. I suppose I would answer to the extent a  
10 utility used financial assumptions that differed from  
11 those financial assumptions presented in my testimony, the  
12 Staff would have concern about the reasonableness in  
13 nature of those assumptions.

14 Q. And the basis for that conclusion is that the  
15 assumption used by the utility differed from the  
16 assumption used in your testimony?

17 A. No.

18 The difference would be the fact that the  
19 Company has used financial assumptions different than what  
20 the Staff has consistently applied to -- I hate to use the  
21 word "all" -- but most of the major utilities in the state  
22 of Missouri.

23 Q. Is there a range of assumptions -- is there a  
24 range of reasonableness in which assumptions may fall, or  
25 must an assumption have to be the assumption used by the

1 Commission and the Staff in order to be considered  
2 reasonable?

3 A. I'm not aware of any standard out there that  
4 says that a utility must adopt the financial assumptions  
5 proposed by the Staff as being reasonable.

6 Q. But if they don't, you would consider the use  
7 of a different assumption to be unreasonable?

8 A. I don't know that I testified to that either.

9 Q. Well, I'm asking you now if you would --

10 A. No.

11 Q. -- consider that.

12 A. I would have to look at that, at the  
13 assumptions, and then make a determination on the  
14 reasonableness.

15 Q. Are any of the assumptions used by UE in its  
16 pension and OPEBs unreasonable in your opinion?

17 A. To the extent that UE continues to calculate  
18 its pension in OPEBs using the market-related value of the  
19 assets versus the Staff's position could be considered an  
20 unreasonable assumption.

21 I have trouble making a quantification on what  
22 becomes unreasonable and reasonable just because of the  
23 differences of assumptions.

24 The Staff has studied this extensively and  
25 believes that the financial assumptions as presented in my



1 testimony and on numerous other occasions presents the  
2 best reasonable fit for those areas.

3 Q. And it also follows FAS 106?

4 A. I'm not aware that we're -- that we were --  
5 that the Staff's position in this area violated 106.

6 Q. On page 5 of your testimony, lines 9 through  
7 10, referring to the assumptions you identified in the  
8 previous page as being financial/assumptions, you state,  
9 quote, someone with a financial and/or accounting  
10 background on the other hand could develop all of the  
11 financial assumptions.

12 Could you explain how much of a financial or  
13 accounting background one must have in order to be able to  
14 develop these assumptions?

15 A. I don't know that there is a specific  
16 measurement tool in that area.

17 Obviously, as an individual works with the  
18 areas and becomes more familiar, their level of expertise  
19 would increase and their ability to perform the analysis  
20 independently would increase also.

21 Q. So if there were an area that someone hadn't  
22 worked in in several years, that would tend to lead one to  
23 conclude that they wouldn't have the financial or  
24 accounting background to develop the financial  
25 assumptions?

1 A. I don't believe I said that.

2 Q. Would that be the case?

3 A. No.

4 I -- I believe I have the financial -- the  
5 accounting background to understand and file the  
6 adjustments that are presented in my testimony and that  
7 back up the policy of the Staff at this time regarding  
8 these areas.

9 Being that this is the first time I've  
10 testified -- or written the testimony in this area from  
11 several years, I had to rely on the expertise of  
12 co-workers -- co-Staff auditors.

13 However, I believe that if I had -- if I am  
14 given the opportunity to do again do this area in the  
15 future, my reliance on those individuals will decrease as  
16 my experience and expertise increases.

17 Q. Do you know how any of these financial/  
18 accounting assumptions that the Staff employed in this  
19 case were determined?

20 For instance, we can go down the list, I  
21 suppose.

22 The financial/accounting assumptions regarding  
23 income earned on plan assets.

24 Do you know how that assumption was determined?

25 Was that -- actually, first let me ask: Was

1 that assumption determined by you?

2 A. No.

3 Q. Was that assumption determined by Mr. Traxler?

4 A. I believe that assumption was -- or is derived  
5 from the actuarial reports.

6 Q. Okay. And the next one, future salary  
7 increases, was there an assumption derived --

8 A. Excuse me?

9 A. I'm sorry.

10 Q. I'm sorry.

11 Was there an assumption regarding future salary  
12 increases that was derived by yourself or a member of the  
13 Staff for this case?

14 A. That assumption -- it wasn't necessary to  
15 adjust that assumption to present the Staff's position.

16 Q. Okay. And the third one, time value of money  
17 or discount rate. Was that assumption determined?

18 A. Sorry.

19 Q. Sorry.

20 A. No. It was my fault.

21 Again, the Staff did not attempt to change  
22 those assumptions.

23 Q. Okay. And the next one, amortization period  
24 for gains and losses, was that assumption determined by  
25 yourself?

1           A.       No.

2           Q.       Was that assumption determined by Mr. Traxler?

3           A.       I would say that that assumption is the current  
4       Staff position.

5           Q.       Do you know how that assumption was determined  
6       in the first instance?

7           A.       I am aware that it's changed. I would be  
8       speculating to tell you what the first position under the  
9       amortization on gains and losses was.

10          Q.       Well, do you know when this particular position  
11       was first adopted by the Staff, the position you take in  
12       your testimony on amortization period for gains and  
13       losses?

14          A.       I'm sorry. I misunderstood you.

15          Q.       On page 4 of the list of the financial/  
16       accounting assumptions, amortization period for gains and  
17       losses.

18                    I guess my question is, do you know when the  
19       current Staff position -- which I believe you said is the  
20       one that you employed in your testimony -- do you know  
21       when that was first adopted by the Staff?

22          A.       And what I was attempting to do is, I think if  
23       you reference later in my testimony, you'll find that at  
24       least it's mentioned where those -- that position has been  
25       stipulated to in prior cases.

1                   So at least that -- that would be a benchmark.

2           Q.       And do you know how the method -- how the  
3       assumption was determined in those cases?

4           A.       The current?

5           Q.       Yes, how it was determined that that's the  
6       assumption you should follow.

7           A.       The assumption regarding gains and losses, like  
8       I said previously, has evolved over years and has been  
9       refined to, you know, a couple of times at least to  
10      address concerns that parties have raised regarding that  
11      area.

12                  So I don't know -- I cannot specifically recall  
13      at what point the Staff moved to the -- to this present  
14      position.

15          Q.       Okay. And the final assumption is the use of  
16      the corridor approach for gain/loss recognition.

17                  Did you determine that assumption?

18          A.       There wasn't a need in the context of this  
19      filing to address that since the actuarial reports that I  
20      reviewed I do not believe contained the use of that  
21      assumption.

22          Q.       Okay. Do you know what professional standards  
23      of practice would govern how the financial/accounting  
24      assumptions listed on page 4 would be developed?

25          A.       Could you repeat that?

1 Q. Can you identify what the professional  
2 standards of practice would be that govern how these  
3 financial/accounting assumptions are developed?

4 A. Yes.

5 I believe there is a section in both the FAS 87  
6 and the FAS 106 pronouncements that address the adoption  
7 of a method of annualization of gains and losses, that  
8 spells out that it has to be consistently applied.

9 And that's the attempt that the Staff has --  
10 has made in the cases for this Commission.

11 Q. Are you familiar with the Actuarial Standards  
12 Board?

13 A. No.

14 Q. And have you heard of the Actuarial Standard of  
15 Practice No. 27?

16 A. No.

17 Q. Would you happen to know if an enrolled actuary  
18 was involved in determining the Staff's assumption  
19 regarding the financial/accounting assumptions, that list  
20 of assumptions?

21 A. And your question is, did we enroll an  
22 actuary --

23 Q. Did you use an enrolled actuary to help  
24 determine those assumptions?

25 A. And that would include the gains and losses to

1 amortization?

2 Q. Yes.

3 A. I don't believe we did.

4 Q. Okay.

5 A. Nor, as I think my testimony speaks to, would I  
6 need to -- would the Staff need to. Excuse me.

7 Q. Are you aware of any publicly held corporations  
8 that do not use an enrolled actuary to design their ERISA  
9 plans?

10 A. No.

11 Q. Do you know any publicly held corporation that  
12 do not use an enrolled actuary to calculate the  
13 liabilities under their pension and OPEBs?

14 A. No.

15 Q. On page 5 of your testimony, lines 10 through  
16 13 you state -- and I'll read this from the testimony --  
17 "For example, a decision as to the number of years to use  
18 for gain/loss amortization or use of the, quote, corridor  
19 approach, unquote, for gain/loss amortization is a  
20 judgment made based upon the impact of cash flow on the  
21 financial statements and/or impact on utility rates."

22 Could you explain what you mean by the impact  
23 on utility rates playing a role in the decision as to the  
24 number of years to use for gain/loss amortization or use  
25 of the corridor approach?

1       A.       Well, I believe as with any adjustment a  
2       reasonableness check -- or a check, so to speak, would  
3       have to be -- or has to be considered of the impact an  
4       adjustment might ultimately have on a utility's rates.

5               For instance -- for example, the -- in the  
6       theoretical reserve adjustment that the Staff is  
7       proposing, the period of amortization was discussed due to  
8       the magnitude of the dollars that were being addressed.

9       Q.       So the proper methodology to use concerning the  
10      number of years over which gain/loss amortization will  
11      take place is based on the impact that the resulting  
12      number will have on utility rates?

13      A.       No. If I said that, I didn't mean to convey  
14      that.

15              I think that the -- that the adjustments, given  
16      the consistent treatment, would need to be looked at as to  
17      their impact on a utility's rates.

18              For purposes of this case it's not my opinion  
19      that these adjustments would severely impact AmerenUE as  
20      these -- the methodologies utilized have been consistently  
21      applied to other utilities in the state of Missouri.

22      Q.       You said you do not believe it would severely  
23      impact AmerenUE's rates.

24              Is the impact on AmerenUE's rates one  
25      consideration in determining whether this gain/loss



1 amortization method should be adopted?

2 A. Is your question whether the adjustments should  
3 be offered or quantify -- after quantification, determine  
4 whether they should be included in the cost of service  
5 based on the impact that they have on the utility's rates?

6 A. I guess my question is: Did the impact on  
7 AmerenUE's rates -- was that any consideration in your  
8 determination of the gain/loss amortization approach?

9 A. No. The adjustments did not reach -- and I  
10 don't have a threshold, but they weren't of a magnitude  
11 that would cause me to -- to look at alternatives.

12 MR. WOLSKI: Do you want to stop here?

13 MR. DOTTHEIM: If it's convenient. Not that  
14 any point is convenient.

15 MR. WOLSKI: We can stop right at this moment  
16 if you have to go upstairs.

17 MR. DOTTHEIM: I'm sorry.

18 MR. WOLSKI: We're off the record.

19 (A RECESS WAS TAKEN.)

20 (ERIC ANDERSON SAT IN FOR STEVE DOTTHEIM FOR  
21 THE REMAINING PORTION OF THE DEPOSITION.)

22 BY MR. WOLSKI:

23 Q. We left off talking about the statement on  
24 page 5 of your testimony, and if I could revisit what you  
25 had said earlier to make sure I understand it.

1 I believe you said that the impact on utility  
2 rates would be relevant to a decision as to the number of  
3 years to use for gain/loss amortization inasmuch as you  
4 would look at impact on utility rates as a reasonableness  
5 check to see if the -- would that -- I believe that's what  
6 you said earlier.

7 Now, would that reasonableness check entail  
8 determining whether using a certain number of years would  
9 reduce rates too much or increase rates too much?

10 Is that how a reasonableness check would be  
11 conducted?

12 A. I think that the check would have -- I mean,  
13 the check would be done in a manner similar to what you  
14 described. I'm not sure if it would be exact.

15 And I don't know that -- I don't have with me,  
16 necessarily, a dollar trigger. But obviously you should  
17 weigh the amount of the adjustment against the total  
18 picture.

19 And I think you also stated earlier that after  
20 performing these adjustments, the magnitude of these  
21 adjustments didn't qualify for that.

22 Q. And these adjustments in our case were made  
23 using a method that had been adopted by the Commission --  
24 by the Commission Staff in the past. Correct?

25 A. For other utilities, correct.

1 Q. And would you know if the impact on utility  
2 rates was considered when this particular method of  
3 amortizing gain or loss was adopted by the Commission  
4 Staff?

5 A. If you're asking me if I specifically know that  
6 an individual sat down and did a -- as we've coined the  
7 term -- a reasonable check, I don't.

8 However, I would suspect that some type of  
9 review or check would have been performed when those  
10 adjustments were presented.

11 Q. Is there any other factor that would be  
12 considered in making a judgment concerning the number of  
13 years to use for gain/loss amortization other than the two  
14 listed in your testimony, the impact of cash flow and the  
15 financial statements and/or impact on utility rates?

16 A. There may be others. I just don't recall any  
17 at this time.

18 Q. Okay. I believe you mentioned that the method  
19 you're proposing for AmerenUE in this case has been  
20 followed -- or is being followed by several other Missouri  
21 utilities?

22 A. If I said that, I misspoke.

23 The methodology has been proposed by the Staff  
24 in several other -- dealing with several other --

25 Q. But the other utilities didn't on their own in

1 a rate filing that they may have made propose to adopt  
2 this particular methodology?

3 Or I might say change to this particular  
4 methodology, I guess is the --

5 A. I think if you look at the question on the  
6 bottom of page 8 and the top of page 9, that at least two  
7 utilities in specific rate cases did file using this  
8 methodology for unrecognized net gain/losses.

9 Q. And that would be Missouri Gas Energy and  
10 Laclede?

11 A. Correct.

12 Q. And both of those companies adopted this  
13 methodology as a part of a prior stipulated settlement?

14 A. I believe that the way the question and answer  
15 are worded, they actually filed those positions in their  
16 testimony, their direct.

17 Q. But that would be in the current -- in the rate  
18 cases?

19 In the prior page, page 8 your testimony says  
20 that the -- okay -- okay. Would you happen to know if the  
21 five-year average balance of -- the unrecognized net  
22 gain/loss over five years approach was adopted by either  
23 of these companies prior to their filing in the two rate  
24 cases listed on page 9?

25 A. I believe Laclede Gas Company did adopt the

1 Staff's position within the context of a stipulation and  
2 agreement in their case prior to the GR-99-315.

3 Q. That would be the GR-98-374 case?

4 A. Correct.

5 Q. And Laclede -- in Laclede's -- I'm sorry. You  
6 just said Laclede. Right?

7 A. And I have no prior knowledge of MGE.

8 Q. Okay. So the MGE's -- I believe the testimony  
9 says that MGE, in Case No. GR-98-140, stipulated to this  
10 method in the settlement of that case, page 8, lines 16  
11 through 18?

12 A. Yes, it does.

13 Q. Okay. So that both of the utilities that have  
14 filed rate cases under this method had previously adopted  
15 the method in settling a prior case?

16 A. That's what the testimony says, yes.

17 Q. Okay. And I take it that since your testimony  
18 does not say that in those two previous cases, in the  
19 Missouri Gas Energy case, GR-98-140, and the Laclede Gas  
20 case, from GR-98-374, that they filed the rate case using  
21 the Staff's method, that in those cases -- those two prior  
22 cases they did not file using the Staff's method?

23 A. I didn't -- I did not personally review the  
24 Missouri Gas Energy testimony in 98-140; therefore, I  
25 don't know the specifics of that.

1                   However, due to the fact that it was excluded  
2     on the answer -- the question and answer began on the  
3     bottom of page 8 and continued through page 9, I would  
4     assume that's correct.

5           Q.       And do you know if Laclede in their most recent  
6     filing proposed use of the Staff method?

7           A.       No, they did not.

8           Q.       Okay. And was that filing prior to the filing  
9     of your testimony, do you recall?

10          A.       I believe it was.

11          Q.       It was or was not?

12          A.       It was.

13          Q.       Okay. And I believe you said earlier that the  
14     market-related value of assets approach used by AmerenUE  
15     was an unreasonable assumption under FAS 87. Is that --

16          A.       I don't think I said it that way. I said I  
17     think -- I thought that the use of the fair value was a  
18     more reasonable assumption when compared to the market  
19     related.

20                   Because I believe I quantified that sometimes  
21     it's hard to -- to get between the threshold of reasonable  
22     and unreasonable.

23          Q.       So that you don't -- you don't contend that the  
24     market-related value approach is unreasonable then?

25          A.       I didn't say that either. I just said --

1 Q. Well --

2 A. I said that the position we're taking presents  
3 the Staff's belief of the most reasonable approach.

4 Obviously, reasonable can be qualified and  
5 quantified differently between parties.

6 Q. Do you contend that the AmerenUE market-related  
7 approach is unreasonable?

8 A. Versus the fair market value, yes.

9 Q. Considered under FAS 87 and FAS 106 and based  
10 on the requirements of FAS 87 and FAS 106, would you  
11 state -- would you contend that the market-related value  
12 approach of the Company is unreasonable?

13 A. I believe I just answered that, saying that  
14 when you compare it to the other alternative, which is  
15 using fair market value, adoption of market-related value  
16 I believe is unreasonable.

17 Q. And what do you believe the purpose of FAS 87  
18 to be?

19 A. The purpose?

20 Q. The purpose or purposes, if there is more than  
21 one purpose.

22 A. In my opinion, FAS 87 was adopted to provide  
23 consistent accounting recognition for the pension  
24 obligation that a company will have to incur.

25 Q. By "consistent," do you mean consistent from

1 year to year -- from period to period by that company or  
2 consistent between comparable companies?

3 A. I believe the pronouncement discussions --  
4 well, within the pronouncement there is discussion that  
5 would require some consistent approaches -- or consistent  
6 calculations from year to year.

7 However, the beginning or the preface of the  
8 statement discusses the need to have a consistent  
9 methodology for reporting -- for companies reporting, so  
10 that I think it's twofold.

11 Q. Would the same be true for FAS 106?

12 A. Yes.

13 Q. Would you happen to know what percentage of  
14 organizations would use a smooth-market related value of  
15 assets to determine FAS 87 expense?

16 A. No, I do not.

17 Q. Okay. Would you know what percentage of  
18 organizations would use average future service to  
19 determine the amortization period for gain/loss  
20 recognition?

21 A. No, I do not.

22 Q. Or what percentage of organizations would use  
23 the 10 percent corridor for gain/loss recognition?

24 A. No, I do not.

25 Q. Are you aware of any companies other than



1 utilities in the state of Missouri who do not use the  
2 market-related value method?

3 A. I personally do not.

4 Q. On page 8 of your testimony, lines 6 through 9,  
5 you state, quote, Since the unrecognized net gain/loss  
6 balance is amortized in calculating pension and OPEB costs  
7 under FAS 87 and FAS 106, significant volatility in the  
8 balance subject to amortization has an undesirable impact  
9 on the calculation of annual pension and OPEB expense for  
10 ratemaking purposes.

11 I was wondering if you could explain first what  
12 the undesirable impact is that you're referring to?

13 A. The undesirable impact would be either the  
14 significant increase or decrease in the gain -- gain/loss  
15 amortization balance, which would affect the amount of  
16 either pension expense or OPEB expense in one year -- in a  
17 year for a utility.

18 Q. But for ratemaking purposes, how does that  
19 volatility have an impact?

20 A. It could create a situation where either a  
21 company could realize significant expense savings or have  
22 a significant expense increase merely due to the  
23 volatility of the change of the amortization of gain/loss  
24 balance.

25 Q. But does that assume that the company is in a

1 rate case before the Commission?

2 A. No. I'm sorry. Excuse me.

3 Q. Other -- because, otherwise, once the rates are  
4 set in cost of service based on the numbers in the test  
5 year, the volatility from year to year shouldn't change  
6 the amount -- should have no impact on rates that -- that  
7 ratepayers pay, should it?

8 A. Well, that volatility may be a factor -- a  
9 major factor in a company's decision to either file a rate  
10 case or not.

11 Q. And which volatility do you think would be more  
12 important to control for these purposes: volatility of  
13 the amortization of gain/loss or volatility of total  
14 expense?

15 A. Volatility -- excuse me -- of?

16 Q. Of total expense. And, again, we're talking  
17 pension/OPEB.

18 A. These are -- both of these volatility  
19 assumptions are based just on pensions and OPEBs?

20 Q. Yes.

21 A. I'm not sure that I could make a determination  
22 of a rank of those in importance.

23 Q. But they would both be important for ratemaking  
24 purposes?

25 A. Yes.

1 Q. Okay. And do you believe that the method that  
2 is proposed in your prefiled testimony is more or less  
3 volatile than Ameren's current method when one considers  
4 the volatility of total pension expense and OPEB expense?

5 A. I think the Staff believes that the methodology  
6 that is presented in the testimony is a better guard  
7 against the volatility and recognizes the gains or losses  
8 in a more timely manner.

9 Q. Would you have proposed this methodology if you  
10 believed that it was more volatile than AmerenUE's current  
11 methodology concerning total pension expenses?

12 A. I know the Staff has looked at the volatility  
13 issue extensively in these areas, and has through the  
14 years changed the methodology in the gain/loss to address  
15 volatility.

16 And at this point the Staff believes that this  
17 is the best method to control volatility and still reflect  
18 the gains and losses -- the true gains and losses of the  
19 funds in a timely manner.

20 Q. And would you consider those two factors to be  
21 tradeoffs, that you might accept a little more volatility  
22 in order to have a more timely recognition of the gains  
23 and losses?

24 A. I believe in our -- I believe the Staff's  
25 current methodology considerably reduces the volatility in

1 the gain/loss area, while still providing timely recovery  
2 of gains and losses.

3 Q. And do you believe that it also reduces the  
4 volatility of total pension in OPEB expense?

5 A. To the extent that the gain/loss is a component  
6 of the pension expense, the volatility naturally would --  
7 I hate to use the words "flow down," but would transcend  
8 into the bottom line of pension expense, OPEB expense.

9 Q. If your proposed method were determined to be  
10 50 percent more volatile than Ameren's method with  
11 reference to total pension and OPEB expense, would that be  
12 too much increased volatility for you to accept and would  
13 you still -- and would you not make the proposal?

14 A. Given my experience in this area, I -- I  
15 wouldn't rely solely on my judgment given those  
16 circumstances without -- without first seeking  
17 consultation with -- with other members of the Commission  
18 Staff.

19 Q. Is there any magnitude of volatility in  
20 which -- is there any magnitude of volatility increase  
21 that would be in your mind too much to accept in the  
22 proposed method and would then lead you to not change from  
23 Ameren's current method?

24 A. I honestly don't have enough experience in the  
25 area to -- to be able to give you an estimate of a change

1 in volatility.

2 Q. Okay. And one of the principal objectives of  
3 FAS 87 would be to standardize the accounting for pension  
4 plan obligations? Is that . . .

5 A. Could you repeat that? I'm sorry.

6 Q. One of the principal objectives of FAS 87 would  
7 be to standardize the accounting for pension plan  
8 obligations. Would you agree with that?

9 A. I would agree with that within the context of  
10 the statement -- the parameters that are outlined within  
11 the statement.

12 Q. Within the FAS 87 statement, you mean? Not the  
13 statement I made?

14 A. Correct.

15 With the caveat that I believe the statement  
16 also allows regulated utilities the flexibility to move  
17 outside of that statement also.

18 Q. And you feel that the Staff's method proposed  
19 in your testimony is consistent with this objective of  
20 FAS 87?

21 A. Yes.

22 Q. Would you still feel that way if it was shown  
23 that the percentage of gain/loss account -- the  
24 percentage -- -- I'm sorry of the gain/loss account that  
25 your method -- the Staff's proposed method would

1 capitalize into expense was several times greater than the  
2 average of utilities of comparable -- of a similar  
3 structure, similar regulatory requirements and similar  
4 plans as Ameren's?

5 A. Again, I don't have the -- near the experience  
6 that other members of the Commission Staff has in this  
7 area. However, I'm confident that Mr. Traxler and  
8 Mr. Rackers would have looked at those -- those  
9 situations.

10 Q. So you think that if it were the case, that  
11 your method required Ameren to capitalize and to expense a  
12 percentage of their gain/loss account that is several  
13 times greater than the average of comparable utilities,  
14 that they probably would not have proposed this method?

15 A. I don't think that's what I said.

16 I think -- or at least what I meant to say was  
17 that I feel confident that that type of analysis or those  
18 comparisons were looked at and the Staff still felt that  
19 this was the proper method to proceed.

20 Q. On page 13 of your testimony, lines 10 through  
21 11, you state, "All large utility companies in the State  
22 of Missouri have well-funded pension plans."

23 How would you define a well-funded pension  
24 plan?

25 A. I would -- would qualify that to say that the

1 pension plans currently are funded to meet the necessary  
2 obligations.

3 Q. So that would mean that the assets -- the plan  
4 assets are about equal to the projected benefit obligation  
5 of the plan?

6 A. I personally don't have knowledge beyond  
7 Ameren's. But I am aware, I believe, the reports that I  
8 reviewed would -- would bear that statement out.

9 Q. If you were to learn that as of September 30th,  
10 2001 Ameren's pension plan assets were more than  
11 \$100 million less than their projected benefit obligation,  
12 would you still consider the plan to be well funded?

13 A. I would have to look at -- at that before I  
14 could make a determination.

15 Q. And if the deficit were 200 million, would  
16 that --

17 A. My answer would still be the same.

18 Q. But if that were the case, you would -- would  
19 you then reconsider whether Ameren's pension plan was  
20 indeed well funded?

21 A. I'm sorry. Could you repeat that?

22 Q. If that were the case, would you reconsider  
23 your position that Ameren's pension plan is well funded?

24 A. I don't know that I'm in a position today to  
25 tell you where that demarcation point would be.

1 Q. The next couple of lines on page 13 you state:  
2 "Annual investment gains are the rule rather than the  
3 exception because the expected rate of return is usually  
4 significantly lower than the actual return earned,  
5 resulting in a significant "unrecognized" gain at the end  
6 of the year."

7 Do you have a way that you would quantify  
8 significantly lower?

9 How much lower would a return have to be  
10 compared to the expected return -- or how much lower would  
11 the expected return have to be compared to the actual  
12 return for it to be significantly lower to your mind?

13 A. Again, I don't know that there is a threshold.

14 The figures I recall looking at would suggest  
15 that the earned return on AmerenUE's investments  
16 historically have been greater than 2 to 2 1/2 percent at  
17 least over the expected rate of return.

18 Q. And what was the expected rate of return? Do  
19 you recall?

20 A. I seem to recall that the assumption is  
21 8 1/2 percent.

22 Q. And do you believe that 2 to 2 1/2 percent  
23 would be significantly greater than the --

24 A. No, I didn't make that -- I'm sorry to  
25 interrupt.



1 Q. That's all right.

2 A. I didn't make that determination that that's  
3 significant. I just provided you my recollection of where  
4 those returns were at least at.

5 Obviously, the significance of a difference  
6 also is impacted by the -- the portfolio or the asset base  
7 you apply it to.

8 Q. But we're talking about returns, so we're  
9 looking at percentage numbers. Correct?

10 A. That's correct.

11 Q. So would a 1 percentage point spread between  
12 the expected return and the actual return be significant?

13 A. And, I guess, although the testimony states it  
14 that way, I think that you'd have to go beyond just  
15 zeroing in on the return and also look at historically  
16 what those assets have earned and also what the impact of  
17 that -- that differential is.

18 Q. But one of the reasons that the Staff opposes  
19 the use of market-related value is that the expected rate  
20 of return is usually significantly lower than the actual  
21 return.

22 So that this particular reason in your  
23 testimony is based on the return and not other aspects of  
24 the pension plan. Correct?

25 A. Excuse me?

1 Q. This particular reason given in your testimony  
2 is based on the return and not the other aspects of the  
3 plan?

4 A. Well, this statement in my interpretation is  
5 generic. It's used in the context of the market-related,  
6 but it's -- it's a statement as to the historical  
7 performance of the plant.

8 It's included in here as -- as another support  
9 for -- for deviating -- not accepting the market-related  
10 approach.

11 Q. And, again, you use the term "significantly  
12 lower." The term is in the testimony.

13 I just would like to know what -- how you would  
14 determine whether one return is significantly lower than  
15 another.

16 Is a half a percent -- half a percentage point  
17 difference between the actual return and expected return a  
18 significant difference?

19 So would the expected return thus be  
20 significantly lower?

21 A. And as I think I stated earlier, I don't have a  
22 threshold between what becomes -- I mean, there is no  
23 standard that says what is significantly lower in the  
24 Staff's position.

25 Q. So it could be .01 percentage points?

1 A. Well, you can put the extremes on it if you  
2 want --

3 Q. Or point --

4 A. -- but I don't -- as I said before, I still  
5 don't have a trigger.

6 Q. Okay. Do you have a ballpark over which one  
7 would say that the comparison of the expected return to  
8 the actual return would be significantly lower?

9 A. I don't, no.

10 Q. So there really is no quantifiable definition  
11 of significantly lower as it's used in that particular  
12 sentence?

13 A. Well, I thought that the question -- the line  
14 of the questioning was whether we had a standard, and I  
15 don't know that we do.

16 Q. Okay.

17 A. And I don't know that --

18 Q. In your opinion --

19 A. Go ahead.

20 Q. No.

21 In your opinion, then, how much of a difference  
22 between an expected rate of return and an actual rate of  
23 return would constitute the expected rate of return being  
24 significantly lower?

25 A. I don't have a trigger.

1 Q. Okay. So it could be as low as a tenth of a  
2 percentage point?

3 A. Well, obviously I believe it's greater than a  
4 tenth of a percentage point, but we can go back and forth  
5 about is it one or is it two or is it a half?

6 Like I said, I don't have that trigger.

7 Q. Okay. Also on page 13, lines 18 through 20,  
8 you state that "The market-related approach results in a  
9 continual understatement of the value of the pension fund  
10 assets and an overstatement of pension costs under  
11 FAS 87."

12 By this statement do you mean that the market-  
13 related value is continually less than the fair value?

14 A. In the context of pensions?

15 Q. Yes.

16 A. I can only speak to your company.

17 I'm not aware that the reports -- the actuarial  
18 reports would not support that conclusion that the market-  
19 related value over the five-year period that was studied  
20 was lower than the fair value.

21 Q. I'm sorry.

22 You mean you're not aware if the market-related  
23 value is lower than the fair value?

24 A. No.

25 What I said was I could specifically address my

1 recollection of the reports and the deal with Ameren, and  
2 that it's my recollection during the five years that I  
3 have actuary reports in pensions, that the market-related  
4 value is less than fair value --

5 Q. Okay.

6 A. -- for those years.

7 I've been involved -- or been -- heard  
8 discussions with other members of the Staff that would  
9 suggest that that situation is not uncommon for other  
10 utilities in the state in pensions.

11 Q. Are you aware that the market-related value for  
12 Ameren's plan is over \$30 million greater than the fair  
13 value of January 1st, 2001?

14 A. I don't have that information.

15 Q. Are you aware that if Ameren established a  
16 market-related value as of September 30th, 2001, it would  
17 be approximately \$190 million greater than the fair value?

18 A. I don't have that information either.

19 Q. Would that lead you to believe -- if you knew  
20 those two items, would you still conclude that the market-  
21 related approach resulted in a continual understatement of  
22 the value of the fund assets?

23 A. I'd have to look at the -- at the information  
24 and then provide you my analysis or decision.

25 Q. If Ameren were to file a rate case, and looking

1 at the test year of the rate case the market-related value  
2 for Ameren's plan would be greater than the fair value,  
3 would you still propose the methodology that you've  
4 proposed in this case?

5 A. Yes. In fact, I believe that that is a  
6 situation in your OPEBs area for 2000.

7 I don't have information beyond 2000. But I  
8 think that's part of the workpaper that's still correct.

9 Q. And the fair-value approach that you recommend  
10 would move the valuation of the pension-fund assets more  
11 closely with the movements in the stock market than would  
12 the market-related approach used by Ameren, wouldn't it?

13 A. I believe they would both move the same way.  
14 Maybe not with as much magnitude.

15 Q. But your approach would move with a greater  
16 magnitude in relation to the movements of the market.  
17 Correct?

18 A. Correct, due to the fact that there isn't a --

19 Q. A smoothing?

20 A. Well, or an adjustment.

21 Q. Okay. So that if the -- under your approach,  
22 if the stock market were to drop, then the recognized  
23 value of the pension assets would be dropping along with  
24 it. Correct?

25 A. At the time of your study, if the market --

1 wherever the market was would be a consideration for us to  
2 look at to develop the pension, that's correct.

3 Q. So if the market were down and the pension  
4 assets value went down, when pension asset value goes  
5 down, the pension expense would go up in the calculation  
6 being done in the cost-of-service case. Correct?

7 A. I don't know that I can make that transition  
8 all of the way down to pension expense.

9 Q. So that the more -- the smaller -- the smaller  
10 the value of pension assets, all other things being equal,  
11 the greater the pension expense. Correct?

12 A. If you hold everything else constant, correct.

13 Q. And if you held all of the other things  
14 constant and the pension expense were to increase, then  
15 the cost of service would be increasing. Correct?

16 A. Yes.

17 Q. If the cost of service were to increase, then  
18 the rates would increase. Correct?

19 A. Not necessarily.

20 Q. It would not relate -- rates aren't correlated  
21 with the cost-of-service calculation?

22 A. There is no automatic increases.

23 You have to -- the company has to make the  
24 determination given the movement in the pension fund, as  
25 well as any item, whether to file for a rate increase.

1       Q.       But if we're in a -- if we are before the  
2       Commission in a rate proceeding, whether it's a rate case  
3       or a complaint case, and the stock market has dropped,  
4       pension assets has dropped, pension expense would go up,  
5       everything else being equal, cost of service would then be  
6       going up, since you would be in the middle of a rate  
7       proceeding, at that point there is a correlation between  
8       an increased cost of service and increase of rates.  
9       Correct?

10       A.       If it was included in the cost of service,  
11       correct.

12       Q.       So that under the proposed methodology, a drop  
13       in the stock market would -- other things being equal --  
14       translate into an increase in rates?

15       A.       That -- that event would have to be analyzed  
16       and determined if it was truly something that should be  
17       recognized or if the anomaly of that dip was going to not  
18       sustain itself into the future. Those are something --  
19       those are obviously items we'd have to look at.

20       Q.       And how would you determine whether a stock  
21       market dip or a stock market rise would be continuing into  
22       the future and sustain itself into the future?

23       A.       Well, what I would probably do is track the --  
24       the change in the assets as -- as you have for purposes of  
25       your questions, you knew what the assets were valued as of



1 September 30th and you knew what the assets were valued as  
2 of January 1, I believe,

3 If the assets valued at September 30th were  
4 required to be used to perform the calculation, and that  
5 looked to be an anomaly, given the ability to track the  
6 assets, I think you would want to look at how those assets  
7 have moved since that point in time when you wanted to  
8 look at them.

9 Q. On page 7 of your testimony, lines 17 through  
10 19, you recommended that, quote, the Unrecognized Net Gain  
11 Balance, subject to amortization, be calculated based upon  
12 a five-year average balance instead of the current year  
13 balance.

14 Now, are you aware of situations where this  
15 method would not comply with FAS 87 or FAS 106?

16 A. Use of the five-year average?

17 Q. Yes.

18 A. No, I'm not.

19 Q. Would you be surprised to learn that as of  
20 October 1st, 2001, the five-year average method that  
21 produced the result for the Ameren retirement plan, which  
22 is not in compliance with FAS 87?

23 A. I don't know.

24 Q. Is it your understanding that FAS 87 would  
25 allow a company using market value to amortize a gain for

1 its plan when it's in a loss position?

2 A. Could you repeat the question?

3 Q. Under FAS 87 would a company be allowed --  
4 would a company that used market value be allowed to  
5 amortize a gain when its plan was in a loss position?

6 A. I don't know.

7 Q. Would you recommend the method proposed in your  
8 testimony if that method were shown to be not in  
9 compliance with FAS 87?

10 A. I would have to consult with other members of  
11 the Staff to make that determination.

12 Q. But that wouldn't necessarily rule out the  
13 recommendation?

14 A. No.

15 As I stated earlier, I think there is -- there  
16 is a fall-out for utilities to deviate from those  
17 reporting requirements under FAS 87.

18 Q. You stated on page 10 of your testimony,  
19 lines 12 through 14 that, quote, Timely recognition of  
20 actual results and assumption changes is necessary for  
21 accurate pension and OPEB expense for ratemaking purposes.

22 The Staff considers five years to be a  
23 reasonable time period to meet this primary objective,  
24 close quote.

25 Is the Staff basing its choice of five years

1 upon any actuarial or accounting guidelines that you can  
2 identify?

3 A. I don't know.

4 Excuse me. Actuarial --

5 Q. Actuarial or accounting guidelines.

6 A. When you mention "accounting guidelines," would  
7 Staff precedent fall in that area?

8 Q. Was the Staff precedent itself based on any  
9 guidelines external beyond what the Staff itself is doing?

10 A. The five-year -- well, the five-year  
11 amortization period is recognized for gains and losses.

12 I think if you went down lower in the testimony  
13 under bullet 2, you would find that there are counting  
14 guidelines for your IRS reasons, and the Federal  
15 government switch from 15 to 5.

16 Q. Do you know what period -- do you know over  
17 what period assumption changes are amortized for purposes  
18 of ERISA?

19 A. No, I don't.

20 Q. Do you know if the period over which your  
21 method would amortize assumption changes is the same as  
22 the period under ERISA?

23 A. My testimony would suggest that the five years  
24 is consistent.

25 I'm confused about the assumption changes

1 because those would flow into the net gain and loss  
2 ultimately.

3 Q. But you don't know -- because you don't know  
4 what the amortization period for assumption changes is  
5 under ERISA, I guess you couldn't compare that with the  
6 amortization period of the assumption changes in yours  
7 which you said flow into the gains and losses that would  
8 be five years. Right?

9 The second part of my question is: Since the  
10 assumption changes flow into gains and losses, then it  
11 would be five years under your approach. Correct?

12 A. I'm sorry. Could you repeat the question?

13 Q. I could try.

14 A. Okay.

15 Q. Because, I believe, you stated that the  
16 assumption changes would flow into gains and losses, the  
17 amortization period for assumption changes under your  
18 approach then would be the same five-year period as the  
19 gains and losses. Correct?

20 A. The five-year amortization would encompass --  
21 or would include assumption changes, correct.

22 Q. Okay. But you do not compare that with the  
23 ERISA's -- with ERISA's amortization -- you did not look  
24 to see what ERISA's amortization period was for assumption  
25 changes?

1 A. To the extent assumption changes flow into  
2 net gains and losses, they would be flowed back over  
3 five years also.

4 Q. Under ERISA?

5 A. Yes.

6 Q. Does ERISA allow the use of funding methods  
7 that spread gains and losses over average future service?

8 A. I don't know.

9 Q. Does ERISA allow companies to use an asset-  
10 smoothing approach?

11 A. I don't know.

12 Q. Are you aware of any documentation that  
13 supports the reasonableness of the five-year amortization  
14 period that the Staff is recommending in this case?

15 A. Is your question, am I aware of any documents  
16 that would support -- or would support saying that it's a  
17 reasonable -- it's reasonable to use the five-year  
18 assumption?

19 Q. Yes.

20 A. The stipulation -- to the extent that -- to the  
21 extent the area is delineated in the stipulation and  
22 agreements that the Commission approves, that ultimately  
23 would suggest that they are just and reasonable.

24 Q. Don't stipulation agreements usually have a  
25 clause that says that the methods adopted in this

1 settlement are not to bind the parties or are not to be  
2 used outside of the context of that particular settlement?

3 A. That's part of it. It also says, I believe, in  
4 several instances, unless herein described.

5 Q. Would the rate moratorium and the sharing  
6 credits that were included in the EARP stipulation and  
7 agreements also be considered just and reasonable because  
8 they were contained in a stipulation and agreement?

9 A. Would the rates as a result of the EARP be  
10 considered just and reasonable?

11 Q. Yes.

12 A. No.

13 I believe that upon review of the  
14 stipulation -- the orders and the stipulations in the  
15 EARP, the Commission found that the beginning of the  
16 sharing grids were considered to be reasonable but did not  
17 mention the reasonableness of the rates.

18 Q. And the stipulation and agreements in the cases  
19 adopting the pension and OPEB method that you propose  
20 here, do they specifically mention that those methods were  
21 reasonable?

22 A. I don't know.

23 Q. Can you name any company other than a Missouri  
24 utility that uses the method that the Staff is proposing?

25 A. I believe I said earlier I do not know.

1 Q. On page 10, lines 23 to 24, you state, "Using a  
2 five-year amortization period is consistent with this  
3 Commission's longstanding precedent for amortizing  
4 abnormal, significant, expenses/losses over five years for  
5 ratemaking purposes."

6 Now, are you suggesting that all gains or  
7 losses that arise in the accounting for pension in OPEB  
8 are abnormal?

9 A. No.

10 Q. Well, looking at investment returns, in your  
11 opinion what range of annual return would be abnormal?

12 A. I'm sorry. Could you repeat that?

13 Q. If we look just at investment returns, what  
14 range of -- well, let me rephrase it.

15 If we were to look at investment returns, is  
16 there some range of annual return that you would consider  
17 to abnormal?

18 A. Is this in the pension?

19 Q. Yes, in pension.

20 A. Is this a return on the assets?

21 Q. Yes.

22 A. I wouldn't have -- I didn't have -- for  
23 significantly lower or higher, I don't have a range that  
24 would be a trigger between normal and abnormal.

25 Q. Okay. Did you make a determination in this

1 case that AmerenUE's pension gains have been abnormal?

2 A. I didn't say that.

3 Q. That's why I asked.

4 A. I would say no.

5 Q. If AmerenUE were to have a \$100 million asset  
6 loss in its pension fund during 2001, do you know what the  
7 impact for 2002 would be on expense using your method?

8 A. No.

9 Q. Do you know how that would compare to the  
10 expense under Ameren's current method?

11 A. On pension expense?

12 Q. Yes.

13 A. No.

14 MR. WOLSKI: Okay. If I were to say that we  
15 are done, would you be happy?

16 THE WITNESS: Unless you want to go up to  
17 agenda, yes.

18 MR. WOLSKI: Okay. Then I've got no more  
19 questions.

20 THE COURT REPORTER: Waive presentment; obtain  
21 signature?

22 MR. ANDERSON: Yes.

23 (SIGNATURE ON THE FOLLOWING PAGE.)  
24  
25



(THIS IS THE SIGNATURE PAGE TO THE DEPOSITION  
OF GREGORY R. MEYER TAKEN ON NOVEMBER 29TH, 2001.)

GREGORY R. MEYER

subscribed and sworn to before me this                  day of  
                    , 2001.

Notary Public in and for  
County  
State of Missouri

COPY

1 STATE OF MISSOURI )  
 ) ss.  
2 COUNTY OF COLE )

3  
4 I, Patricia A. Stewart, RPR, CCR, CSR,  
5 Registered Merit Reporter with the firm of Associated  
6 Court Reporters, Inc. do hereby certify that pursuant to  
7 notice, there came before me,

8  
9 GREGORY R. MEYER,

10 at the Governor Office Building, Room 810, in the City of  
11 Jefferson, County of Cole, State of Missouri, on the 29th  
12 day of November, 2001, who was first duly sworn to testify  
13 to the whole truth of his knowledge concerning the matter  
14 in controversy aforesaid; that he was examined and his  
15 examination was then and there written in machine  
16 shorthand by me and afterwards typed under my supervision,  
17 and is fully and correctly set forth in the foregoing  
18 pages; and the witness and counsel waived presentment of  
19 this deposition to the witness, by me, and that the  
20 signature may be acknowledged by another notary public,  
21 and the deposition is now herewith returned.

22 I further certify that I am neither attorney  
23 nor counsel for, nor related to, nor employed by any party  
24 to said action in which this deposition is taken; and  
25 further, that I am not a relative of employee of any  
attorney or counsel employed by the parties hereto, nor  
finally interested in this action.

Given at my office in the City of Jefferson,  
State of Missouri, this 29th of November, 2001.

*Patricia A. Stewart*

Patricia A. Stewart, RPR, CSR, CCR  
Registered Merit Reporter

1  
2  
3  
4 November 20, 2001

5 Public Service Commission  
6 Governor Office Building  
7 Jefferson City, Missouri 65101

8 ATTN: Steven Dottheim

9 In Re: Case No. EC-2002-1

10 Dear Mr. Dottheim:


11 Please find enclosed your copy of the deposition of  
12 Gregory R. Meyer taken on November 29, 2001 in the  
above-referenced case. Also enclosed is the original  
signature page and errata sheet.

13 Please have the witness read your copy of the transcript,  
14 indicate any changes and/or corrections desired on the  
errata sheet, and sign the signature page before a notary  
public.

15 Please return the errata sheet and notarized signature  
16 page to Mr. Wolski for filing prior to trial date.

17 Thank you for your attention to this matter.

18 Sincerely,

19   
20 Patricia A. Stewart

21 Encl:

22 CC: Victor Wolski  
23  
24  
25

AmerenUE  
Pensions and OPEBs  
Case No. EM-96-149

PROPRIETARY

Eliminate Market Related Value of Assets

	Pensions	OPEBs
Fair Market Value of Assets	\$ 1,426,983,268.00	\$ 133,766,144.00
Market Related Value of Assets	\$ 1,336,749,108.00	\$ 137,712,874.00
Difference	\$ 90,234,160.00	\$ (3,946,730.00)
Expected Return On Assets	8.5%	8.5%
Increase in Expected Return	\$ 7,669,903.60	\$ (335,472.05)
Ameren UE Allocator	68.26%	100.00%
Total Electric Allocator	96.01%	96.01%
Missouri Electric Allocator	90.11%	90.11%
Missouri Electric Portion	\$ 4,529,451.87	\$ (290,232.34)
O&M %	80%	80%
Adjustment	\$ (3,623,561.49)	\$ 232,185.87

Amortize (Gain) Loss Balance

Five Year Avg. (Gain) Loss Balance	\$ 134,464,219.41	\$ 9,632,044.80
Staff Amortization Period	5	5
(Gain) Loss Amortized to Expense	\$ 26,892,843.88	\$ 1,926,408.96
(Gain) Loss Amortized Per 2000 Actuarial Report @ 7.11%	\$ 15,078,876.70	\$ (1,149,361.00)
Additional (Gain) Loss Amortized	\$ 11,813,967.18	\$ 3,075,769.96
Ameren UE Allocator	100.00%	100.00%
Total Electric Allocator	96.01%	96.01%
Missouri Electric Allocator	90.11%	90.11%
Missouri Electric Portion	\$ 10,220,808	\$ 2,660,990.42
O&M %	80%	80%
Adjustment	\$ (8,176,646)	\$ (2,128,792)

Annualize Pension/OPEB Expense

Total Cost per Actuarial Report	\$ 1,129,449.00	\$ 51,233,488.00
Ameren UE Allocator	68.26%	100.00%
Total Electric Allocator	96.01%	96.01%
Missouri Electric Allocator	100.00%	100.00%
Missouri Electric Portion	\$ 740,200.51	\$ 49,189,271.83
O&M %	80.00%	80.00%
Annualized MO Electric O&M	\$ 592,160.41	\$ 39,351,417.46
Test Year Amount	\$ 4,190,750.00	\$ 29,353,919.00
Adjustment	\$ (3,598,589.59)	\$ 9,997,498.46

Gain/Loss Calculation  
Pensions

Year	Amount
2000	\$ 305,308,711.00
1999	\$ 147,205,180.00
1998	\$ 188,394,155.00
1997	\$ 122,700,367.00
1996	\$ 100,280,099.00
Avg.	\$ 172,777,702.40

OPEBs		
2000	\$	(15,440,344.00)
1999	\$	6,411,978.00
1998	\$	24,557,846.00
1997	\$	24,713,813.00
1996	\$	7,916,931.00
Avg.	\$	9,632,044.80

68.26%

1998?  
100,660,099 - 97  
37,689,218 96

7916931

\$ 21,507,455  
14,660,994

Total Co.

Meyer I  
EXHIBIT  
Jan 11-29-01